

STATE OF WEST VIRGINIA

AIR QUALITY BOARD

* * * * *

TUCKER UNITED, WEST VIRGINIA*

HIGHLANDS CONSERVANCY, and * Appeal No.

SIERRA CLUB, * 25-02-AQB

Appellants *

vs. *

DIRECTOR, DIVISION OF AIR *

QUALITY, DEPARTMENT OF *

ENVIRONMENTAL PROTECTION, *

Appellee *

and *

FUNDAMENTAL DATA, LLC, *

Permittee/Intervenor *

* * * * *

BEFORE: J. MICHAEL KOON, Chair

Grant Bishop, Member

Robert C. Orndorff, Member

R. Thomas Hansen, Member

Leonard Knee, Member

Any reproduction of this transcript

is prohibited without authorization

by the certifying agency

HEARING: Wednesday, December 3, 2025

8:58 a.m.

LOCATION: WV Department of Environmental Protection

601 57th Street, Southeast

Charleston, WV 25304

WITNESSES: James Kotcon, Amy Margolies, Marilyn

Shoenfeld, Alan Tomson, Ranajit Sahu

Reporter: Chassidy E. Bays

A P P E A R A N C E S

1

2

3 JOHN S. GRAY, ESQUIRE

4 Office of West Virginia Attorney General

5 1900 Kanawha Boulevard East

6 Building 1, Room 26E

7 Charleston, WV 25305

8 Counsel for Air Quality Board

9

10 J. MICHAEL BECHER, ESQUIRE

11 Appalachian Mountain Advocates

12 P.O. Box 11571

13 Charleston, WV 25339

14 Counsel for Appellant

15

16 CHARLES S. DRIVER, ESQUIRE

17 WV Department of Environmental Protection

18 Office of Legal Services

19 601 57th Street, Southeast

20 Charleston, WV 25304

21 Counsel for Appellee

22 (Via Videoconference)

23

24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

A P P E A R A N C E S (cont.)

DAVID L. YAUSSY, ESQUIRE

JAMES A. WALLS, ESQUIRE (Via Videoconference)

Spilman Thomas & Battle PLLC

300 Kanawha Boulevard, East

Charleston, WV 25301

Counsel for Permittee/Intervenor

ALSO PRESENT:

KENNA M. DERAIMO

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

I N D E X

DISCUSSION AMONG PARTIES 10 - 17

OPENING STATEMENT

 By Attorney Becher 17 - 26

OPENING STATEMENT

 By Attorney Driver 26 - 29

OPENING STATEMENT

 By Attorney Yaussy 29 - 33

DISCUSSION AMONG PARTIES 33 - 39

WITNESS: JAMES KOTCON

DIRECT EXAMINATION

 By Attorney Becher 39 - 54

CROSS EXAMINATION

 By Attorney Walls 55 - 58

CROSS EXAMINATION

 By Attorney Yaussy 59

REDIRECT EXAMINATION

 By Attorney Becher 60

CROSS EXAMINATION

 By Attorney Driver 61 - 62

DISCUSSION AMONG PARTIES 62 - 64

WITNESS: AMY MARGOLIES

1	I N D E X (cont.)	
2		
3	DIRECT EXAMINATION	
4	By Attorney Becher	64 - 76
5	CROSS EXAMINATION	
6	By Attorney Walls	77 - 87
7	REDIRECT EXAMINATION	
8	By Attorney Becher	87 - 88
9	DISCUSSION AMONG PARTIES	88 - 90
10	<u>WITNESS: MARILYN SHOENFELD</u>	
11	DIRECT EXAMINATION	
12	By Attorney Becher	90 - 96
13	CROSS EXAMINATION	
14	By Attorney Driver	96 - 97
15	CROSS EXAMINATION	
16	By Attorney Walls	97 - 98
17	REDIRECT EXAMINATION	
18	By Attorney Becher	98
19	<u>WITNESS: ALAN TOMSON</u>	
20	DIRECT EXAMINATION	
21	By Attorney Becher	99 - 110
22	CROSS EXAMINATION	
23	By Attorney Driver	110 - 113
24		

1	I N D E X (cont.)	
2		
3	CROSS EXAMINATION	
4	By Attorney Walls	114 - 117
5	DISCUSSION AMONG PARTIES	117 - 119
6	<u>WITNESS</u> : RANAJIT SAHU	
7	EXAMINATION ON QUALIFICATIONS	
8	By Attorney Becher	119 - 136
9	EXAMINATION ON QUALIFICATIONS	
10	By Attorney Driver	137 - 139
11	EXAMINATION ON QUALIFICATIONS	
12	By Attorney Yaussy	140 - 149
13	DISCUSSION AMONG PARTIES	149 - 151
14	FURTHER EXAMINATION ON QUALIFICATIONS	
15	By Attorney Becher	151 - 154
16	DISCUSSION AMONG PARTIES	154 - 158
17	DIRECT EXAMINATION	
18	By Attorney Becher	158 - 213
19	DISCUSSION AMONG PARTIES	213 - 216
20	CROSS EXAMINATION	
21	By Attorney Driver	216 - 231
22	CROSS EXAMINATION	
23	By Attorney Yaussy	231 - 255
24		

1	I N D E X (cont.)	
2		
3	REDIRECT EXAMINATION	
4	By Attorney Becher	255 - 260
5	RE CROSS EXAMINATION	
6	By Attorney Driver	260 - 262
7	DISCUSSION AMONG PARTIES	262 - 263
8	REDIRECT EXAMINATION	
9	By Attorney Becher	264 - 288
10	RE CROSS EXAMINATION	
11	By Attorney Driver	288
12	RE CROSS EXAMINATION	
13	By Attorney Yaussy	289 - 293
14	REDIRECT EXAMINATION	
15	By Attorney Becher	294 - 295
16	DISCUSSION AMONG PARTIES	295 - 296
17	CERTIFICATE	297
18		
19		
20		
21		
22	* CONFIDENTIAL PORTION PAGES 263 TO 296	
23		
24		

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

E X H I B I T S

			Page	Page
	<u>Number</u>	<u>Description</u>	<u>Offered</u>	<u>Admitted</u>
	A-1	Sahu Curriculum Vitae	157	158
	A-2	2001 Memorandum	183	184
	A-3	HAP PTE E Estimate	188	188
	A-4	2003 Memorandum	198	199
	A-5	Federal Register 2024*	209	--
	A-6	Monthly Climate Normals*	281	--

*Not attached

P R O C E E D I N G S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

COURT REPORTER: Do you want the same transcript preferences that I emailed you about after the first part?

ATTORNEY YAUSSY: Yeah, I mean, you're. We may break out the transcripts. There --- there --- there may be a confidential or -

COURT REPORTER: Okay.

ATTORNEY YAUSSY: - transcript. So I guess we would want the same for both.

COURT REPORTER: Okay.

ATTORNEY YAUSSY: Yeah. Yeah.

COURT REPORTER: Because I, I'll go through my notes really quick. I think you just wanted an email copy?

ATTORNEY YAUSSY: Yeah, I think that --- that was it. Oh, that may --- may change around if we do want a confidential. I don't know.

COURT REPORTER: Okay.

ATTORNEY YAUSSY: Yeah.

COURT REPORTER: Well, I will actually. I already have all of your.

ATTORNEY YAUSSY: You have all the

1 information already?

2 COURT REPORTER: Contact information. But
3 I will give you this, and if it changes or you want it or
4 something and you can keep it with you. Just to be safe.

5 ATTORNEY YAUSSY: That'd be great.

6 COURT REPORTER: Awesome. Michael. I
7 tried to --- I put email, did not reply. So I forgot to
8 give this after our first hearing.

9 ATTORNEY BECHER: Yeah.

10 COURT REPORTER: To know transcript
11 preferences for that first one. So this would have count
12 for this hearing.

13 ATTORNEY BECHER: Okay, yeah.

14 COURT REPORTER: And if you want the last
15 one, if you didn't get any contact, if you make a note, I
16 can let them know.

17 ATTORNEY BECHER: Okay, great.

18 ---

19 (WHEREUPON, AN OFF RECORD DISCUSSION WAS HELD DURING THE
20 PROCEEDING.)

21 ---

22 CHAIR: All right.

23 Let's come to order, please. I'm Mike
24 Koon. I'm the Chairman of the Air Quality Board, and

1 members of the Board sitting to my right here, I'm going
2 to ask each one of them to introduce themselves first of
3 all.

4 MR. HANSEN: I'm Tom Hansen.

5 MR. BISHOP: Grant Bishop.

6 MR. ORNDORFF: Bob Orndorff.

7 CHAIR: And on Zoom, we have Mr. Leonard
8 Knee. Leonard, can you speak up?

9 MR. KNEE: Hi. It's good to see you all
10 this morning, and hopefully we can go through this
11 efficiently.

12 CHAIR: Thank you. Let the record show
13 that we do have a quorum present then. We have five of
14 our seven members.

15 We're here today to hear evidence in
16 Tucker United, West Virginia Highlands Conservancy, and
17 Sierra Club versus the Director, Division of Air Quality,
18 West Virginia Department of Environmental Protection.
19 This is Appeal Number 25-02-AQB.

20 What I'd like to do right now is have the
21 parties introduce themselves. Before I do this, though,
22 let mention that we do have two, I guess, three with the
23 paralegal. Two of the counselors on Zoom, which we'll
24 have them introduce themselves as well. You already know

1 Mr. Knee is on there. We're going to at least have one
2 witness on there. So I'm going to ask that when people
3 speak today, witnesses and others, please try to speak up
4 as much as you can so those folks can --- can hear as
5 well, okay? And those of you that are on Zoom, if you
6 can't hear us, the parties that are on Zoom, make sure
7 you let us know.

8 For those that are on Zoom, that are
9 listening in, that are not part of the legal teams and so
10 forth, make sure that your unit at home or wherever you
11 are is muted. If you make noises, if you're talking, or
12 if you rustle with papers or whatever, that'll come
13 across and cut things out. And if that happens too much,
14 we'll have to cut you off. So make sure that you're on
15 silent, as you will.

16 With that, Mr. Becher.

17 ATTORNEY BECHER: Thank you, Mr. Chairman.
18 My name is Mike Becher. I'm with Appalachian Mountain
19 Advocates here representing Appellants Tucker United,
20 West Virginia Highlands Conservancy, and the Sierra Club.

21 CHAIR: Mr. Driver.

22 ATTORNEY DRIVER: And Mr. Chairman, this
23 is Scott Driver. I'm counsel for the Appellee, West
24 Virginia Department of Environmental Protection.

1 ATTORNEY YAUSSY: Mr. Chairman, my name is
2 Dave Yaussy with the law firm of Spilman and Thomas, here
3 on behalf of Fundamental Data, the Intervener. Also with
4 me today on Zoom is Mr. Jim Walls.

5 CHAIR: Jim, you want to introduce
6 yourself?

7 ATTORNEY WALLS: I do, Mr. Chairman. I'm
8 Jim Walls. My partner and I, Dave Yaussy, represent the
9 Intervener in this matter. Thank you.

10 CHAIR: Okay. All right.

11 The Board is an independent agency from
12 the --- independent of the agency that issued the permit.
13 And we hear --- hear permit appeals de novo, which means
14 that it's not looking at what has been --- not bound by
15 what has been done in the past. It's looking at a fresh
16 view.

17 We hear all hearings impartially in a
18 manner that's fair to all parties. The rules of the
19 Board are found at 52 CSR1 that govern the conduct of the
20 hearing, as does the West Virginia Code 29-1-5-1 and
21 other additions to that.

22 The hearing is going to be recorded by a
23 court reporter to our left over here. In order to permit
24 an accurate record, all proper names and technical terms

1 should be spelled out, and only one person should speak
2 at a time. If the court reporter has a problem hearing
3 anyone, she'll speak up and let us know.

4 Also related to that, as we go through
5 this process today with people on --- on Zoom especially,
6 if anybody refers to anything in the --- in the certified
7 record, please make sure you list the page number so they
8 can try to find it than flip through things. And we know
9 a couple of the page numbers are not real clear. A
10 couple of pages aren't real clear to be numbered. So you
11 may have to describe what you're looking at as well. So
12 we'll keep that in mind as we go through.

13 The hearing is conducted under what's
14 known as the shifting burden of proof. The burden of
15 proof was set out in the case before the Circuit Court in
16 Kanawha County, Wetzel County, Solid Waste Authority
17 versus the Chief of the Office of Waste Management back
18 in 1999. And the burden of --- shifting burden of proof
19 means that the Appellant has a burden to raise the issue
20 with sufficient evidence to support a finding that the
21 Appellee's decision was incorrect, that it violated a
22 statute or regulation, or otherwise it shouldn't --- it
23 shouldn't have issued the permit. Then the Appellee must
24 produce evidence demonstrating its reasoning in making

1 its decision. The Appellant then has the opportunity to
2 show that the evidence produced by the Appellee is
3 deficient or --- or a pretext. So that's the way we run
4 things.

5 The order of presentation is that we'll
6 start with the Appellant presenting their case. Then the
7 Appellee will respond, and then the Intervener. Should
8 also mention before we get started here that in the prior
9 discussions we've had in sessions and order was --- was
10 entered. There are some issues that are considered
11 confidential. And when we get to those issues, we will
12 have to vacate the room. And also those on --- on zoom
13 that are not part of the parties, what we will do is we
14 will mute you from this location so that you can't hear
15 what's going on in that discussion either, so that we can
16 go through those parts in confidential as.

17 ATTORNEY DRIVER: And Mr. Chairman, this
18 is Scott Driver. If I could interject real quick. I'd
19 spoken with Mr. Becher, and because of the nature of the
20 hearing, I believe that he had agreed that a client
21 representative for the Appellants would not be in the
22 room during the closed portion and that it would just be
23 him and his expert. And I'd just like to verify that.

24 ATTORNEY BECHER: I understand that the

1 protective order issued allowed only the attorneys and
2 experts to --- to review material.

3 CHAIR: Right.

4 ATTORNEY DRIVER: Thank you.

5 CHAIR: Okay.

6 Are there any preliminary motions which we
7 have before we get started? No? Okay.

8 Are there any agreements or stipulations
9 that the parties have agreed to that we need to get on
10 the record?

11 ATTORNEY YAUSSY: Mr. Chairman, there may
12 be at some later point, but at this point, we do not have
13 any.

14 CHAIR: Okay. Okay.

15 Any questions before we start?

16 ATTORNEY BECHER: Did you want to raise
17 your objection and get that out of the way, or do you
18 want to go to openings first?

19 ATTORNEY YAUSSY: Why don't we do openings
20 first?

21 CHAIR: All right.

22 So let's start then with opening
23 statements. Mr. Becher, you're up.

24 ATTORNEY BECHER: Thank you, Mr. Chairman,

1 members of the Board.

2 We're here today to discuss the permit
3 that was issued to Fundamental Data. And as explained in
4 our Notice of Appeal, we have a number of issues with
5 that permit. One of the principal issues is made evident
6 by six or seven points of objection is the
7 confidentiality or the designation of confidentiality of
8 certain materials in that. In that permit application
9 that was reviewed by the DEP and was not available to the
10 public.

11 In deciding confidentially information, in
12 deciding on that designation, first and foremost, we
13 believe that the DEP failed in its duties to properly
14 evaluate the required showing of harm to the business
15 enterprise of the Intervener. Looking at --- looking at
16 the relevant regulatory section, the determination must
17 be made upon a showing that the person or entity has
18 satisfactorily shown the disclosure of information is
19 likely to cause substantial harm to the business's
20 competitive position or the information is voluntarily
21 submitted to the agency and would be likely to impair the
22 State's ability to obtain necessary information in the
23 future.

24 We don't believe either of these standards

1 are met. What we're talking about here is calculations
2 of emissions data, basic information like the
3 manufacturer of turbines, the number of turbines, the
4 amount of shutdowns and startups that will be --- be
5 undertaken by the agencies and were used to predict the
6 emissions. That is very basic data that is integral to
7 any permit application and we cannot believe that this is
8 a voluntary submission. That these are things that DEP
9 needs to evaluate a permit properly and does require.

10 That leaves a necessary showing that this
11 information is going to competitively harm the --- the
12 Company's business. In the record, there are two
13 positions or there are two portions of the record that
14 seek to justify confidentiality. The first is the cover
15 page to the application itself. You can find that on
16 certified record page two to five. There, categories of
17 redacted information are simply and summarily identified
18 as trade secrets without explanation or without giving a
19 rationale for why the disclosure of that type of
20 information would harm this business.

21 After the initial submission, as the
22 record shows, the --- the DEP questioned the
23 appropriateness of designating this material confidential
24 business information. In response, Fundamental Data

1 submitted a letter to the agency and that can be found in
2 certified record page, I believe it's 404. Actually, I
3 believe that letter is in a --- in a few pages
4 throughout.

5 And if you look at that letter, that
6 letter talks a lot about national security, advanced
7 computing, and artificial intelligence. We've decided,
8 the Board has already decided, that the end user of this
9 gas plant is not an issue in this hearing. The permit
10 application did not seek or identify an end user. There
11 is no information in that letter to justify why turning
12 over basic information like the number of turbines,
13 calculations behind emissions for a gas plant is going to
14 be harmful to the competitor's business practices. In
15 fact, we will show that, through expert testimony, this
16 type of information is --- is commonly made available.
17 That a major producer of turbines would provide any
18 prospective customer with that kind of information.

19 Moreover, this information does not
20 qualify as a trade secret because it constitutes types
21 and amounts of air pollutants discharged pursuant to 45
22 CSR31-2A. These calculations, because of the way the
23 permit is set up, are necessary to determine the amount,
24 frequency, and concentrations of emissions and whether or

1 not the plant is meeting the limitations within the
2 permit.

3 Permit Section 4.1 lists a number of
4 hourly and annual limitations based on pollutant
5 concentrations. Those, however, are dependent upon the
6 redacted calculations. In other words, it is nearly
7 impossible to tell how compliance is measured without
8 looking at that redacted information.

9 Now, if you look at, and we will get into
10 this during the presentation of evidence. If you look at
11 what was disclosed, there are total maximum, hourly
12 outputs and total maximum annual outputs that are
13 disclosed, and that's --- that's the information that's
14 available to the public. This, however, assumes that the
15 plant is running at full capacity with all the turbines.
16 That in reality is not how most plants dispatch, and
17 there's no assurance that the --- the plant will dispatch
18 that way. Because we don't have information on how much
19 individual turbines will emit or even the number of
20 turbines, it's nearly impossible to scale down those
21 cumulative emissions to determine if the plant is meeting
22 its limits.

23 For instance, if this plant is running
24 with say five turbines, the number of turbines isn't

1 disclosed, I'm just throwing a number out there. Those
2 turbines run half the year on diesel, half the year on
3 natural gas, and that is below the total amount of
4 turbines that are running. We have no way, the public
5 has no way and the director has no way to explain if
6 compliance is being met because the only numbers that are
7 available are the total emissions under full load with
8 the full plant operating.

9 Because of that, this constitutes types
10 and emissions of air pollutants which are not allowed to
11 be redacted. This is further complicated, as our expert
12 will display --- explain by startup and shutdown
13 information. We have no information on what conditions
14 were assumed for startup and shutdowns. All we have is a
15 total annual shutdown and startup number in the redacted
16 application. There is no information on the assumption
17 of the number of startups or shutdowns or how that number
18 was calculated. Because pollutant emissions are
19 different during startup and shutdown, that again does
20 not provide the public or --- does not provide the public
21 and does not allow the Director to explain whether or not
22 compliance is being achieved.

23 Furthermore, this --- his plant is being
24 permitted as a synthetic miner source. That means there

1 are certain limitations that it cannot exceed. Principal
2 among those are it can't emit more than 100 tons per year
3 of any criteria pollutant. It can't emit more than ten
4 tons per year of any hazardous air pollutants or 25 tons
5 per year of any combination of hazardous air pollutants.
6 This --- this was explained by the permit engineer in the
7 permit record.

8 Nitrogen oxides, for example. If you look
9 at the predicted emissions, they're within one percent of
10 that total tons per year. Again, we don't know the
11 assumptions from the redacted data, the load states, the
12 operating conditions under which those predictions were
13 made. As our expert will explain, emissions are going to
14 vary based on atmospheric conditions, temperature,
15 humidity, as well as the operational state and fuel type.
16 Without knowing that information, it's impossible to say
17 --- say with any assurance that this will meet the minor
18 source limitation.

19 It also assumes that the pollution
20 reduction systems, the scrubbers, are working perfectly.
21 Again, this is within one percent of the threshold. If
22 there is an upset or disruption to the pollution
23 treatment system, it's difficult or impossible to know
24 that. And because there is no direct emissions

1 monitoring, it is impossible to know whether more
2 emissions are going out during that period of time. This
3 is significant because we're assuming that there is in
4 fact a 90 percent reduction on pollutants based on that
5 pollutant, that --- that scrubber system.

6 The other pollutant that we will explain
7 in expert testimony is formaldehyde. You know, you'll
8 hear testimony from our expert that he believes that this
9 plant is likely to emit formaldehyde and hazardous air
10 pollutants cumulatively above minor source thresholds.
11 And this is predominantly due to startup and shutdown
12 states when pollution reduction systems are not going to
13 be working at optimal efficiency. We'll walk the Board
14 through why that is in the evidence, but it is important
15 to say that again, formaldehyde, as well as other
16 pollutants, other VOCs which constitute hazardous air
17 pollutants, are going to be emitted in concentrations
18 higher than what the permit predicts. And in fact,
19 looking at the redacted data, these were not accounted
20 for during startup and shutdown states, even though they
21 do vary and in fact are emitted at higher concentration
22 during those states.

23 Finally, and perhaps most importantly, the
24 DEP in issuing this has shown a disregard for the purpose

1 and policy of the West Virginia Air Pollution Control
2 Act. Included in the purpose and policy are
3 considerations that go to promoting the economy of the
4 state and the facilitation and enjoyment of natural areas
5 within the state. Specific regulations, most notably air
6 dispersion --- the decision whether to do air dispersion
7 modeling specifically can take into account the purposes
8 and policies of that act.

9 Despite that, and despite the fact that
10 this plant is located less than a mile from the towns of
11 Davis and Thomas, which are two small, thriving
12 communities that depend on outdoor recreation and the
13 enjoyment of natural areas for their economy, we believe
14 was an abuse of discretion by the DEP. The DEP could
15 have been more protective, could have helped allay fears
16 in these communities, and could have taken additional
17 steps to ensure the protection of those natural areas and
18 to ensure that the economy of those towns and the
19 purposes and policies of the Act were met. It did not.

20 For those reasons, we are asking the Board
21 to overturn the Department's decision. First, to order
22 that information sufficient to understand the permit,
23 compliance with the limitations in the permit be made
24 public and require a re-notice of this permit with that

1 application made public for public comment. And second,
2 that the Board find that this permit was not
3 appropriately issued as a synthetic minor source and
4 remand with orders that the proper evaluation of
5 pollutants likely to exceed those minor source thresholds
6 are taken into account.

7 Finally, direct the DEP to consider the
8 purpose and the policy of the Act in making discretionary
9 decisions regarding this permit in order to protect the
10 special locations, the economies of the Davis and Thomas
11 area, and the natural resources in those locations.
12 Thank you.

13 CHAIR: All right.

14 Thank you. Mister --- Mr. Driver, do you
15 want to go next, please?

16 ATTORNEY DRIVER: Yes. Mr. Chairman,
17 Board members, DEP is here for one task and that is to
18 defend the issuance of this permit against allegations
19 that our decision to issue the permit was arbitrary and
20 capricious. And central to that defense is the issue of
21 whether DEP's CBI determination was arbitrary and
22 capricious.

23 We're here today to show that not only was
24 DEP's review of the permit application and subsequent

1 issuance of the final permit not arbitrary and
2 capricious, but that it was done with a meticulous level
3 of attention and concern for following the mandatory non-
4 optional regulatory requirements. In this case, as the
5 record has shown, the Intervener initially claimed that
6 certain information contained in its permit application
7 was confidential business information, which I'll be
8 referring to as CBI, and accordingly that it qualified
9 for redaction from the public permit application.

10 DEP again, as the record shows, expressed
11 some concern over whether that information satisfied the
12 regulatory definition of CBI. We reached out to the
13 Intervener and asked them to justify why they were
14 claiming it as CBI. Intervenor replied in lengthy detail
15 providing that justification. After review, the agency
16 determined that there were more than sufficient methods
17 for determining the emissions from the facility without
18 that confidential business information and that that
19 claim accordingly met all regulatory requirements to be
20 considered CBI. Once that determination was made, the
21 confidentiality's non-optional. If the CBI claim meets
22 the relevant regulatory requirements, it must be treated
23 by us as confidential.

24 And it's vital to note, as the Board has

1 in the past and as I brought up before, DEP only has that
2 regulatory authority that is expressly granted to us by
3 the legislature. We can't rule by fiat. We can't do
4 more or less than the authority delegated to us demands.
5 Our authority to issue or deny permits is strictly
6 prescribed. The Division of Air Quality is delegated
7 authority only over substantive air quality issues. It
8 can make determinations. It can impose terms and
9 conditions outside of its legal authority, and that
10 authority extends to the protection of air quality.

11 DAQ is not permitted to consider issues
12 outside of that purview. And if the --- if the permit
13 applicant meets all regulatory requirements, they get a
14 permit. Now, in the past, this very Board's stated, and
15 I'm paraphrasing, but it's close to a direct quote. The
16 permitting program is the sole source of DAQ's authority
17 to regulate air pollution. It cannot do more or less
18 than the rules allow. This Board, and again close to
19 quoting, expressly rejected the proposition that the
20 general policy of the Air Pollution Control Act that Mr.
21 Becher has referred to, 22-5-1, creates any authority for
22 DEP to require information beyond that it is given
23 express authority to require.

24 Today we're going to show that in making

1 our CBI determination and in determining the propriety of
2 issuing the permit, we followed the law and regulations
3 that we are non-optionally required to follow and that we
4 did so in a manner that wasn't arbitrary and capricious,
5 but that was in fact meticulous, careful, and
6 appropriate. The evidence will show that. And with
7 that, I will pass over to Mr. Yaussy.

8 CHAIR: All right.

9 Thank you. Mr. Yaussy, would you like to
10 make an opening?

11 ATTORNEY YAUSSY: Yeah.

12 CHAIR: Okay.

13 ATTORNEY YAUSSY: Yes, Mr. Chairman.

14 Appellants are making two primary
15 allegations. That the DAQ should not have allowed
16 Fundamental to claim certain information as a trade
17 secret, and that the permit is somehow deficient because
18 it will allow Fundamental to exceed minor source limits.
19 Neither allegation is correct.

20 First, the trade secret. We claim CBI
21 because the turbine's configuration and the manner in
22 which they would be deployed are not the industry
23 standard and they represent a competitive advantage for
24 Fundamental here and in other states. The method of

1 operation and configuration represent a plan, pattern, or
2 process developed by Fundamental's principles that will
3 be used to produce a service, in this case, power
4 production, that gives Fundamental a business advantage.
5 The DAQ agreed that we satisfied the standard which is
6 set out fully in the regulations. And furthermore, we're
7 not aware of anybody who's been proposed who will testify
8 otherwise at this hearing.

9 Having established that the redacted data
10 is a trade secret, the only issue becomes whether
11 Fundamental has protected that data and prevented its
12 release. We aren't aware of anyone who suggests we have
13 not protected it, and we believe the spirited defense
14 that we put up until the Board entered its order shows
15 that we have concluded continue to meet that obligation
16 to protect our trade secret.

17 Now, you heard Mr. Becher state that
18 emission data can't be kept confidential as a trade
19 secret. But if you look at the definition of emission
20 data, you see that the relevant rules are referring to
21 actual emissions once the source is operating, not the
22 estimated emissions that were redacted in the permit
23 application. In defining emission data, the --- the rule
24 states that it refers to any data that is any emission

1 which has been emitted by the source. Has been emitted
2 by the source, 45 CSR31B.

3 The rule further refers to, quote,
4 emissions which under a standard --- under an applicable
5 standard or limitation the source was authorized to emit,
6 end quote. In other words, it's actual emissions coming
7 out of this project when it's built that can't be hidden.
8 It's not --- it has nothing to do with the redaction of
9 the data that was in the application.

10 And none of those actual emissions are
11 being kept from the DAQ. That is the most important
12 point I think I have to make to you today. None of the
13 actual emissions that this plant emits are being claimed
14 as confidential. When this plant is up and running, it
15 will be confirming and monitoring its actual emissions
16 and proving that it qualifies as a minor source.

17 The limits in the permit were based on
18 Fundamental's request to be a synthetic minor source
19 permit. To do that, it has to stay under 100 tons per
20 year for each of the criteria of pollutants. To meet
21 those limits, pollution control equipment has to be
22 installed and proper operation verified. Furthermore,
23 Fundamental has to demonstrate through stack testing for
24 each individual turbine that the turbine meets the hourly

1 emission limitations imposed for NOx, the limiting
2 pollute as we'll describe later, but also for --- for
3 carbon monoxide, sulfur dioxide, and for formaldehyde.
4 The hours of operation, the method of operation, the type
5 of fuel, the heat input, and other parameters have to be
6 monitored and recorded hourly.

7 If total hours, and I guess this is where
8 we will be going in large part today. If total hours of
9 operation are below what's allowed in the permit and if
10 the turbine shows through stack testing actual measuring
11 of its output that it is meeting the per hour emission
12 limits, the source is going to stay a minor source. It
13 has to be. It's a simple and transparent calculation
14 that we will be explaining more fully in a little bit.

15 Appellants have said that the project is
16 too large to operate as a minor source, which is, we
17 believe, a ridiculous claim. Of course, it can limit its
18 operations to stay under major source levels. The whole
19 point of a synthetic minor permit is a limitation on the
20 potential to emit that the permittee commits to abide by.
21 To suggest that Fundamental should be denied a permit
22 because Appellants believe it can't or won't abide by its
23 permit limits calls into question the whole concept of
24 permitting. It would be like saying we couldn't issue

1 anybody a driver's license because we're concerned they
2 have the ability to speed and therefore be violating the
3 conditions of their permit, their driver's license.

4 No one could get a significant --- a
5 synthetic minor permit if it could be denied solely
6 because an opponent opined that the permittee wouldn't
7 comply with it. It also leaves the Appellants in the
8 strange situation of arguing that Fundamental should only
9 be issued a permit, a major source permit with
10 potentially much higher major source limits.

11 Fundamental has demonstrated a need for
12 confidential treatment of certain information in its
13 permit application with limited information. That CBI
14 has not prevented imposition of permit limits that limit
15 this --- this --- this project to minor source status.
16 Appellant's permit appeal should be denied by this --- by
17 this Board. Thank you.

18 CHAIR: Great, thank you. All right.

19 Do you have a witness you want to call?

20 ATTORNEY BECHER: Yes. I believe we are
21 going to call, begin with calling standing witnesses. I
22 understand there may be an objection to the calling of
23 standing witnesses. Don't know if you want to present
24 that now or have any. I'll call Jim Kotcon if there is

1 no objection.

2 CHAIR: Okay.

3 ATTORNEY DRIVER: And Mr. Chairman, before
4 we get to Mr. Kotcon's testimony, we are willing to
5 stipulate that Mr. Kotcon has standing to bring the
6 appeal. We are not willing to concede that beyond the
7 Beyond the requirement of being potentially affected that
8 Mr. Kotcon or any of the other standing witnesses have
9 suffered any actual injury or harm. We don't believe
10 that that is a component of being entitled to bring the
11 appeal. And additionally, if they are found to have
12 standing insofar as they testify to facts or --- or any
13 other information including that --- that would require
14 speculation or expert opinion or that is irrelevant, we
15 would object to them offering testimony on that. And
16 we'll address those objections whenever, when and if they
17 come up. But we are willing to stipulate to standing to
18 bring the appeal by Mr. Kotcon and by the other standing
19 witnesses offered for the Appellants.

20 ATTORNEY WALLS: Mr. Chairman, this is Jim
21 Walls on behalf of the Intervener. If I may respond?

22 CHAIR: Go ahead.

23 ATTORNEY WALLS: I think there are two
24 things at issue here. First, under the statute, any

1 person whose interest may be affected by the DEP's
2 action, it can file an appeal. And that includes anyone
3 who participated in the public comment process. And so
4 to the extent that the Appellant showed that --- that
5 they participated in the public comment process, they can
6 --- they can file this appeal. I don't necessarily think
7 that's standing. I think of standing as Article 3
8 standing under the Constitution, which requires, among
9 other things, an injury in fact.

10 So we will stipulate, the Intervener will
11 stipulate that to the extent that the Appellants can show
12 that each of them participated in the public comment
13 process, they can --- they can file this appeal under the
14 statute, but we can't stipulate that they have Article 3
15 standing.

16 CHAIR: All right.

17 Thank you. Mr. Yaussy, anything you want
18 to add?

19 ATTORNEY YAUSSY: No. No, sir.

20 CHAIR: Okay.

21 ATTORNEY BECHER: Yeah. And I would just
22 say we are satisfied with the stipulation that we have
23 standing to pursue this appeal. The problem becomes, if
24 this is appealed to an intermediate or Supreme Court

1 later. If we could get a stipulation that standing will
2 not be raised or challenged in those venues, then we ---
3 we do not believe that we have to establish a factual
4 record to support Article 3 standing. However, if the
5 Intervener and the Appellee are reserving the right to
6 challenge standing at the appellate level, that we
7 believe we need to develop that record here, that is a
8 jurisdictional issue. It is an issue that the court can
9 dismiss the case on. And if that record is not
10 developed, we risk losing that argument on appeal.

11 ATTORNEY GRAY: If you're going to go
12 forward --- this is John Gray, counsel. I'm hearing two
13 types of standing. Standing to bring the appeal, Article
14 3 standing. If you're going to get witnesses, make sure
15 you separate and put in the proper box because I think
16 standing to bring the appeal has been agreed to.

17 Correct?

18 ATTORNEY YAUSSY: If I could just clarify?
19 The right to bring an appeal.

20 ATTORNEY GRAY: The right to bring an
21 appeal.

22 ATTORNEY YAUSSY: The right to appeal.

23 ATTORNEY DRIVER: And I --- and Mr. Gray,
24 this is Scott. I --- I --- well, I wouldn't say

1 mischaracterized it, but I should clarify that I agree
2 with the Interveners that we are talking about the right
3 to bring the appeal. Standing, I think, might be another
4 issue. So I needed to clarify that, as Mr. Walls had
5 brought up.

6 ATTORNEY GRAY: So I'm just making sure
7 that the record is clear that all we're going to be
8 talking about with regard to standing during any
9 testimony will be the equivalent of Article 3 standing.

10 Correct?

11 ATTORNEY BECHER: I believe there is the
12 issue that Mr. Walls said, if our witnesses have filed
13 comments or if the organizations have comments, I --- I
14 think that standard needs to be met. Unless the --- the
15 Appellee and Intervener are willing to stipulate that
16 those comments have been made.

17 ATTORNEY YAUSSY: I guess we're looking
18 for a representation by Mr. Becher that comments have
19 been filed on behalf of all three organizations, in which
20 case we would accept that.

21 ATTORNEY BECHER: I've been informed by my
22 clients that they each had comments submitted by members
23 and on behalf of the organization.

24 ATTORNEY GRAY: Okay.

1 CHAIR: Mr. Kotcon, you sound like you
2 have a low voice, so please make sure you talk loudly so
3 people can hear you.

4 Okay?

5 THE WITNESS: I will do my best. I do.

6 CHAIR: Go ahead.

7 ---

8 DIRECT EXAMINATION

9 ---

10 BY ATTORNEY BECHER:

11 Q. Good morning, Dr. Kotcon. Can --- can you
12 state and spell your last name for the record, please?

13 A. My name is James Kotcon, K-O-T-C-O-N.

14 Q. Thank you. And can you tell the Board where
15 you currently live?

16 A. I currently reside at 414 Tyrone Avery-Road in
17 Morgantown.

18 Q. How far you is that from this proposed gas
19 plant?

20 A. It is approximately 65 miles as the crow flies.

21 Q. Do you use any areas within closer proximity to
22 the gas plant regularly?

23 A. Yes. I first arrived in Morgantown in 1985,
24 and at that time my wife and I would frequently travel

1 the area to learn more about the state. One of my most
2 significant memories was coming over the ridge into
3 Canaan Valley. And that striking beauty has impressed me
4 ever since. I visit that area regularly, several times a
5 year for both recreational purposes as well as attending
6 meetings. Led a number of service outings through those
7 areas doing trail work and tree planting. It is one of
8 my favorite places in the state.

9 Q. And can you explain why it is one of your
10 favorite areas in the state?

11 A. It is botanically a very interesting area. It
12 is a high elevation wetland, it is scenically very
13 beautiful. It is a center of recreational opportunities,
14 both hiking, camping, cross country skiing. I'm not a
15 big fan of downhill skiing, but. So my preference is for
16 White Grass rather than the state parks. But beyond
17 that, I'm frequently there for a wide variety of
18 activities.

19 Q. And how do you believe the plant will affect
20 your use of the area?

21 A. One of my big concerns is the potential for
22 haze increases in scenic areas such as Dolly Sods, Bear
23 Rocks, Canaan Valley. Haze is contributed by a wide
24 variety of pollutants. Particularly aerosols from

1 nitrous oxides and sulfur dioxide, fine particulates of
2 all types. The area is already heavily impacted.

3 ATTORNEY WALLS: Mr. Chairman, I hate to
4 object and interrupt, but --- but this witness is
5 testifying about expert opinion testimony. He's not been
6 qualified as an expert. This is ---.

7 ATTORNEY BECHER: I believe this testimony
8 ---.

9 ATTORNEY WALLS: This is scientific. This
10 is scientific, specialized knowledge that requires an
11 expert, and I object. Move to strike his answer.

12 ATTORNEY BECHER: In order to have ---.

13 ATTORNEY DRIVER: Mr. Chairman, this ---
14 this is Scott. DEP joins that objection.

15 CHAIR: All right.

16 ATTORNEY BECHER: In order to have a
17 recreational injury based upon an apprehension of
18 something like haze, there needs to be a reasonable
19 belief that that will occur. And I believe Mr. Kotcon's
20 explaining his understanding, his basis for that belief.

21 THE WITNESS: As a lay witness.

22 ATTORNEY WALLS: He ---.

23 ATTORNEY DRIVER: I'm sorry, Mike. I
24 didn't know if you were done. I apologize, Mike. I

1 didn't mean to interrupt you. Mr. Chairman, he is
2 unbelievably unqualified to give this opinion.

3 CHAIR: This is a personal opinion here
4 he's given based on his?

5 ATTORNEY BECHER: He's testifying to his
6 understanding of the factual basis for haze.

7 CHAIR: Okay.

8 So it's not --- this is not an expert
9 witness. It's not testimony based upon the facts as an
10 expert would do it. Is it based on his personal opinion?

11 ATTORNEY BECHER: It's based on his
12 personal knowledge.

13 CHAIR: So we --- the Board understands
14 that, and will allow him to go ahead and continue.
15 Although try to keep things restricted if we can, please.

16 ATTORNEY BECHER: Sure.

17 CHAIR: Okay.

18 BY ATTORNEY BECHER:

19 Q. Just to be clear with that objection, one of
20 your principal --- one of the ways this will principally
21 affect you is --- is haze? Your concerns about haze?

22 A. Yes. The scenic beauty of that area is only
23 able to be enjoyed if, in fact, we can see it.

24 Q. And it's your understanding, based upon your

1 personal knowledge, that this plant may contribute to
2 haze?

3 A. Yes.

4 Q. Are you a member of any organizations involved
5 in this appeal?

6 A. I've been a longtime member of the Sierra Club.

7 Q. Okay.

8 What's your role within the Sierra Club?

9 A. I have been a member for almost 40 years. I've
10 had a number of roles. I'm currently serving as Chair
11 for the West Virginia Chapter. And have been active in a
12 number of different committees.

13 Q. Let me --- let me actually go back because I'm
14 not sure we got a full answer. How would haze, or even
15 the fear of haze, affect your recreational uses of the
16 areas near this plant?

17 A. On behalf of the Sierra Club, I've led a number
18 of outings through that area. Hikes, camping trips, et
19 cetera. The scenic beauty is one of the things that we
20 really prize during those trips. It's one of the reasons
21 why the Sierra Club has been actively involved in
22 protection of the Canaan Valley area and the wilderness
23 areas such as Dolly Sods and the state parks in that
24 area. And that would be a way to degrade the experience

1 that we're trying to promote.

2 Q. And how does the challenge of this appeal ---
3 appeal align with the Sierra Club's mission and purpose?

4 A. The Sierra Club's mission statement is to
5 preserve, protect, and enjoy the natural places of the
6 earth. And there's a much longer paragraph if you want
7 to read that, but our goal is to protect these areas for
8 our own enjoyment and for that of future generations.
9 This is a special place in West Virginia and needs to be
10 protected as such.

11 Q. Now, I understand we represented that --- that
12 our standing witnesses have submitted comments on behalf
13 of the organizations. Was that, in fact, you that
14 drafted comments or assisted drafting comments for the
15 Sierra Club?

16 A. I did the initial review of the air permit and
17 wrote a first draft of the comments. I circulated that
18 to other members and leaders within the Sierra Club,
19 incorporated their comments, and submitted the final
20 draft to the DEP.

21 Q. Okay.

22 And is one of the ways that you were affected
23 by the issuance of this permit the --- the ability to
24 write your comments?

1 A. Yes. I am very concerned about the amount of
2 information that was redacted in the original
3 application. It became very difficult to evaluate
4 whether the emissions were going to be achievable. A big
5 concern I have was that even the location and height of
6 the smokestack was redacted. It's very difficult to
7 determine how a plume disperses if we don't know where it
8 originates from.

9 Q. Okay.

10 ATTORNEY BECHER: I'd like --- to assist
11 the witness, I have a portion of the certified record. I
12 also have copies, if --- if anyone else would like to see
13 it, but I'll.

14 ATTORNEY GRAY: What page numbers are
15 they?

16 ATTORNEY BECHER: It's 584 to 590.

17 CHAIR: Give us a second to find it, okay?

18 ATTORNEY BECHER: Sure.

19 CHAIR: Mr. Knee, are you okay with those
20 pages?

21 MR. KNEE: Yes, I am.

22 CHAIR: Okay. All right.

23 Mr. Becher, go ahead.

24 BY ATTORNEY BECHER:

1 Q. Great. And first, do you recognize this? This
2 section of the certified record?

3 A. Yes. This is the response to comments
4 submitted from West Virginia DEP after they issued the
5 permit. The Sierra Club comments start at the bottom of
6 this first page, the question redacting basic
7 information.

8 Q. So the bottom of 584?

9 A. Correct.

10 Q. Okay.

11 And --- and how far do they extend?

12 A. They extend through. These extend through the
13 end of this document, page 590. There I think were a
14 couple extra pages of comments that were --- at least a
15 couple of other comments that we'd submitted, but these
16 are the major ones.

17 Q. Okay.

18 And I'd like to draw your attention to page
19 587. And I believe this represents a comment where you
20 are indicating inconsistencies among --- amongst emission
21 factors.

22 Do you see that?

23 A. Yes, that's about the middle of the page.

24 Q. Can you explain to the Board your concern with

1 this? With this comment?

2 A. As we reviewed the application and the permit
3 --- the draft permit, there are a number of times when
4 the original draft permit talked about emissions factors
5 and other information that contradicted later information
6 in those documents. For example, as was stated, the
7 emissions of hazardous air pollutants had one limit in
8 one section, which when I multiply that times 24 hours a
9 day at 365 days a year, it comes up to just over 13 tons
10 per year. But a different level was established in the
11 permit. There's no clear basis as to how that
12 information was achieved and whether that's actually
13 reliable and something that we can rely on.

14 Similar problems occurred with the use of the
15 EPA's AP42 documents for emissions factors. It is not
16 clear how they calculated emissions of hazardous
17 pollutants such as formaldehyde because the data that I
18 saw suggested the potential to emit was much higher than
19 was limited. Would have exceeded the major source
20 threshold, but it was also not clear whether they were
21 accounting for the use of pollution control such as the
22 oxidative catalyst, in which case the potential to emit
23 should have been much lower than what was permitted. So
24 those kinds of ---.

1 ATTORNEY DRIVER: Mr. Chairman, this is
2 Scott. We're going to --- we're going to renew our
3 objection as to where Dr. Kotcon seems to be going on
4 this. I think we're getting into the realm again of
5 speculation and expert testimony.

6 ATTORNEY BECHER: And we'll move on.

7 ATTORNEY WALLS: Mr. Chairman, we --- we
8 join in that objection and move to strike this. This is
9 all clearly expert testimony, and he's not qualified to
10 give this opinion. And he wasn't disclosed as an expert
11 to testify about these issues.

12 ATTORNEY BECHER: Again, I think he's
13 basing his information on his factual understanding of
14 this permit. I mean, I think all he's essentially said
15 is that he understands the pollution control devices are
16 going to reduce the pollution. He's testified ---.

17 ATTORNEY DRIVER: And Mr. Chairman, he's
18 also testifying as what, to the --- what the speculative
19 consequences of that might be. And again, he has not
20 been qualified or identified as an expert. As a non-
21 expert, he does not have the --- the ability to give
22 speculative --- speculative testimony on the likely
23 results of any technical issues.

24 ATTORNEY BECHER: He had the opportunity

1 to draft ---

2 CHAIR: Right.

3 ATTORNEY BECHER: --- technical comments
4 for this permit, and he's explaining the factual basis on
5 his drafts and how he was hindered by the redacted
6 information.

7 CHAIR: Your objection's been noted.
8 We're going to give the testimony the weight that it
9 deserves as we go forward. Again, it's not --- he's not
10 testifying as an expert and we understand that. He is
11 testifying as to what he commented on or what the Sierra
12 Club commented on within the document on their --- their
13 belief at the time. It's not based on factual evidence.
14 That obviously will come later, supposedly.

15 ATTORNEY BECHER: Thank you, Mr. Chairman.

16 BY ATTORNEY BECHER:

17 Q. Let me just ask. Did the redaction of
18 information make it more difficult for you to clear up
19 and understand these inconsistencies?

20 A. Yes. Yes. The fact that key parts of the
21 technical information were redacted is what led to my
22 confusion and my concern about the inconsistencies in the
23 DEP's response. I don't know where they got those
24 numbers. It is not clear from the documents in the

1 application or from the engineering evaluation or from
2 the draft permit how those numbers were achieved. And
3 when I do simple arithmetic, I can come up with a wide
4 variety of other numbers which would make this a much
5 different permit.

6 Q. Did the DEP's response to your comments clear
7 up your understanding of those inconsistencies?

8 A. No. To a very large extent, the DEP's response
9 to comments was very generalized, did not address the
10 specific concerns that we had, and omitted any
11 significant response to those comments.

12 Q. You had, I believe, a couple of comments
13 related to startups and shutdowns. Can you explain your
14 --- your comments there and your concerns writing those
15 comments for the Board?

16 A. Our concern is that emissions of various
17 pollutants such as nitrogen oxides and others. During a
18 steady state operation when all of the equipment is
19 operating at full temperature is a much lower emissions
20 rate than when things are just starting up and they're
21 getting things up to temperature and the heat has to come
22 through there. When I reviewed other such permits, the
23 emissions can be as much as half of the annual permission
24 --- emissions from startups and shutdowns.

1 In this particular permit, we don't know how
2 many startups and shutdowns were proposed because that
3 information is redacted. The emissions for --- assigned
4 to startups and shutdowns is very low. It seems
5 unrealistic to me, not that I'm an expert on it, but this
6 does not match what I've seen in other permits. And ---.

7 ATTORNEY DRIVER: Mr. Chairman, at the
8 risk of poking the bear, just --- just consider our
9 objection ongoing to this.

10 CHAIR: All right, thank you.

11 ATTORNEY WALLS: Mr. Chairman, could I
12 have a continuing objection to this entire line of
13 questioning? Everything he's testified to, it's --- it's
14 opinion testimony. And I --- I won't --- I won't
15 interrupt again if the Chairman will give me a continued
16 objection on the basis of the fact that this is expert
17 testimony and he's not qualified, nor has he been
18 designated as an expert.

19 CHAIR: Noted. We will --- we will go
20 along with your --- your stipulation. Thank you.

21 ATTORNEY WALLS: Thank you.

22 CHAIR: Go ahead.

23 THE WITNESS: Basically, my concern is
24 that without knowing the number of startups and

1 shutdowns, without knowing even the number of turbines
2 that might be starting up and shutting down, it is very
3 difficult for the public to make any kind of informed
4 comments. And the whole goal of public comment is for
5 the agency to accept an informed comment from others who
6 might have an opinion.

7 That has been one of the reasons why we
8 raised a lot of objections. It is also my understanding
9 that an air permit is supposed to be based on the maximum
10 potential to emit. We've reviewed a number of these
11 permits, and that potential to emit should make some
12 conservative assumptions about what is the maximum
13 potential pollution. We did not see that when we
14 reviewed this permit, and that raised a lot of questions
15 for us.

16 BY ATTORNEY BECHER:

17 Q. And was that due to the redacted information
18 when you were reviewing this permit?

19 A. That was due almost entirely to the amount of
20 information that was redacted.

21 Q. Let me ask. If --- if you and the rest of the
22 public had access to confidential information contained
23 in this application, would that have increased your
24 confidence that this permit was adequately reviewed and

1 issued?

2 A. Yes.

3 Q. If the DEP, you had mentioned a --- a concern
4 about haze. If the DEP had undertaken dispersion
5 modeling to look at the effects of the pollutants on
6 areas where this plant, near where this plant is located,
7 would that have increased your confidence that this
8 permit was adequately issued and reviewed?

9 A. Yes.

10 Q. Okay.

11 Do you have --- I know you're not a lawyer, but
12 do you have a basic understanding of the difference
13 between a minor and a major stationary source, the
14 permitting that's required?

15 A. Yes. We've reviewed quite a number of air
16 pollution permits over the last 25 years. That major
17 source threshold has been an issue in several of them.

18 Q. Okay.

19 And is there, is one permitting process more
20 rigorous than the other?

21 A. The requirements for a major pollution source
22 include much more extensive air dispersion modeling. It
23 requires an analysis of what's the best available control
24 technology. It typically requires a continuous emissions

1 monitoring system, CEMS. There are a number of other
2 issues that would make this permit much more protective.

3 Q. Okay.

4 And would you feel confident that this plant
5 would not affect your recreational use of the areas if it
6 were, in fact, permitted as a major and not a minor
7 source?

8 A. Confident is ---.

9 Q. Would it alleviate your concerns in regard ---?

10 A. It would certainly help to protect those areas,
11 and that would be a major goal that we were trying to
12 achieve.

13 Q. Okay.

14 In your use of the area, would you feel more
15 confident in going to use those areas that the laws in
16 place to protect air quality would be enforced and would
17 be protective?

18 A. Yes.

19 Q. Okay.

20 Would that make you enjoy your recreation in
21 those areas more?

22 A. I do believe so, yes.

23 ATTORNEY BECHER: Okay.

24 Nothing further.

1 CHAIR: Mr. Driver.

2 ATTORNEY DRIVER: Thank you, Mr. Chairman.
3 Given that our ongoing objection has been overruled as to
4 the entire line of questioning or the overwhelming
5 majority of it from Dr. Kotcon, we will go ahead and pass
6 over to the Intervener at this time.

7 CHAIR: All right.

8 Mr. Yaussy, do you have?

9 ATTORNEY YAUSSY: It'd be Mr. Walls.

10 CHAIR: Oh, Mr. Walls?

11 ATTORNEY YAUSSY: Yes, sir.

12 ATTORNEY WALLS: Thank you, Mr. Chairman.

13 ---

14 CROSS EXAMINATION

15 ---

16 BY ATTORNEY WALLS:

17 Q. Dr. Kosin, I just have a few questions. So as
18 I understand it, your testimony is that as a result of
19 the DEP issuing this permit, you're going to be harmed
20 because the facility will cause haze that will affect the
21 aesthetics of the valley.

22 Is that right, daresay?

23 A. This facility will contribute to the haze that
24 affects the valley and it moves away from our goal of

1 trying to clean up that pollution.

2 Q. All right.

3 And that's the injury that --- that you foresee
4 coming from the DEP's actions here.

5 Right?

6 A. That is one of the issues. There are other
7 issues related to exposure to hazardous air pollutants
8 such as formaldehyde. There are general concerns about
9 the nitrous oxide emissions, which is a precursor to
10 ozone which has direct health effects. We are concerned
11 about any incremental increase in the amount of air
12 pollution in that very pristine area.

13 Q. Let's focus on haze for a minute. Can you tell
14 us everything you personally did to determine that
15 Ridgeline facility will cause haze or increase the haze
16 factor in the valley to the extent that it's going to
17 affect you?

18 A. On behalf of Sierra Club, I have been
19 participating with various haze rules and regulations,
20 comment periods, et cetera. We have reviewed emissions
21 data from other surrounding power plants and its
22 contributions to haze. And while there is no direct
23 dispersion modeling because this facility is being
24 permitted as a minor source currently, we know that every

1 additional emission of nitrous oxides and other aerosols
2 contributes to that haze.

3 Q. How do you know that?

4 A. Because that's what haze is. It's the
5 particulates, the aerosols, the fine particles that come
6 from those major pollution sources.

7 Q. So I'm just a dumb lawyer, and --- and I can
8 tell you that I'm certainly not qualified to look at any
9 data and determine --- make the determinations you just
10 made. Would you agree that to make the opinion, to give
11 the opinion you just gave, you have to have specialized
12 knowledge and training?

13 A. Not necessarily. Anybody who stood on a ridge
14 top and looked across at the horizon and seen hazes
15 recognizes that.

16 Q. But you have to look at the data from --- you
17 have to look at --- you have to somehow come up with a
18 hypothesis, a guess as to what this facility will
19 generate in terms of haze.

20 Right?

21 A. Yes.

22 Q. Okay.

23 And are you telling me that in your opinion,
24 you don't have to have specialized knowledge, training,

1 or education to do that?

2 A. Certainly to predict the amount of haze that
3 would be produced, yes. That would require specialized
4 modeling and a lot more precise emissions data than we
5 currently have, as well as meteorological information.
6 But in terms of knowing that given the current background
7 of haze, adding more pollution is going to contribute to
8 that, that doesn't require specialized knowledge.

9 Q. How about the other injuries that you contend
10 may, you may suffer as a result of this permit being
11 issued? For example, the formaldehyde? I mean, is it
12 your opinion that anybody like a, I don't know, an auto
13 mechanic, a lawyer with no specialized training can look
14 at all the data and come up with a cogent opinion on
15 that?

16 A. Certainly anybody who is familiar with
17 formaldehyde would recognize that it's a potent
18 carcinogen. It irritates the eyes and the lungs. More
19 formaldehyde does not make it better.

20 ATTORNEY WALLS: I have no further
21 questions, Mr. Chairman.

22 ATTORNEY YAUSSY: Mr. Chairman, could I
23 --- could I ask just a quick question?

24 CHAIR: Sure, absolutely.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

CROSS EXAMINATION

BY ATTORNEY YAUSSY:

Q. Mr. Kotcon, are you claiming you have any current harm or damage from the operation of this plant as you sit here today?

A. The plant does not exist, so there's not current damage. The debate that we're having is whether we should allow additional damage sometime in the future.

Q. But no current damage to you?

A. Not currently, because the plant is not there.

Q. Same thing with the permit. The issuance of the permit itself does not damage you?

A. The issuance of the permit is the critical step in authorizing the construction of that plant. It is the only opportunity we have to object to that, and that's why we're here today.

Q. But its issuance does not create haze. That requires the project to be completed.

Correct?

A. That's correct. Yes.

ATTORNEY YAUSSY: Nothing further. Thank you.

1 CHAIR: Redirect?

2 ATTORNEY BECHER: Just very quickly.

3 ---

4 REDIRECT EXAMINATION

5 ---

6 BY ATTORNEY BECHER:

7 Q. Mr. Kotcon, were you affected in any way in
8 drafting your comments by the way the application of
9 this permit was put out to the public?

10 A. Certainly. The information redacted made it
11 very difficult to understand how much formaldehyde is
12 being emitted, where the emission sources are, how a
13 plume might move, which way the wind blows. None of that
14 information that would be associated with a major source
15 was present here today in this application or the permit.
16 And that makes it very difficult to have any confidence
17 that the emissions estimates are something that are
18 achievable.

19 Q. And did that harm your ability to fulfill your
20 right to comment on this permit?

21 A. Yes.

22 ATTORNEY BECHER: Nothing further.

23 ATTORNEY DRIVER: And Mr. Chairman, I have
24 a quick follow up. This is Scott. I'm sorry that I'm

1 not on video today.

2 ---

3 CROSS EXAMINATION

4 ---

5 BY ATTORNEY DRIVER:

6 Q. Dr. Kotcon, a couple of times you have said
7 that we determined or we drafted, we looked at. Who is
8 the we?

9 A. The people that I circulated to were other
10 members of our conservation committee as well as people
11 with the National Sierra Club staff.

12 Q. And would members of that we have been the
13 people who actually analyzed the emissions data and came
14 to these conclusions?

15 A. At least a couple of them were. They also had
16 copies of the application, the draft permit, the
17 engineering evaluation. They had the same information
18 that I had.

19 Q. So you personally are not responsible for the
20 technical review of the data that you're referring to.

21 Is that correct?

22 A. I drafted the initial comments. There were
23 some modifications from some of our team, but I wrote the
24 final draft so I would be responsible for those.

1 Q. Did you perform the technical analysis used to
2 reach these conclusions?

3 A. I did the review on the initial permit for our
4 comments. Yes.

5 Q. Did you do the technical review?

6 A. I did the technical review, yes.

7 Q. And what expertise do you have that allowed you
8 to make that technical review?

9 A. On behalf of the Sierra Club and other
10 environmental organizations, I've reviewed probably 20 or
11 30 different air pollution permits. I've been involved
12 in several appeals of those and had discussions with the
13 attorneys over the years. I've commented on DAQ rules
14 and have had the chance to review those in depth over the
15 years. I have a PhD ---.

16 Q. But I'm asking about your technical
17 qualifications to perform technical reviews.

18 CHAIR: Mr. Driver, I'm going to cut you
19 off right there. You've already stipulated he's not an
20 expert witness, and now you're trying to make him an
21 expert witness.

22 ATTORNEY DRIVER: If I may.

23 CHAIR: If you want to be ---.

24 ATTORNEY DRIVER: Actually, Mr. Chairman,

1 quite the opposite. I'm trying to demonstrate that he is
2 not qualified to render the opinions and did not perform
3 the analysis. Somebody else did who has not been offered
4 as a witness.

5 CHAIR: But that's already been
6 stipulated. So we don't need to go there unless ---
7 unless you're trying to make him an expert witness. I
8 have to stop your line of questioning.

9 ATTORNEY DRIVER: Understood, Mr.
10 Chairman.

11 ATTORNEY BECHER: Nothing further.

12 CHAIR: Okay.

13 You can step down. Thank you.

14 THE WITNESS: Thank you.

15 CHAIR: What's your next?

16 ATTORNEY BECHER: Next we will call Ms.
17 Amy Margolies.

18 COURT REPORTER: Can you raise your right
19 hand?

20

21

AMY MARGOLIES,

22 CALLED AS A WITNESS IN THE FOLLOWING PROCEEDING, AND

23 HAVING FIRST BEEN DULY SWORN, TESTIFIED AND SAID AS

24 FOLLOWS:

1

2

DIRECT EXAMINATION

3

4

BY ATTORNEY BECHER:

5

Q. Good morning, Ms. Margolies.

6

A. Morning.

7

8 Q. Can you state and spell your last name for the
record, please?

9

10 A. My name's Amy Elliot Margolies. Last name is
spelled M-A-R-G-O-L-I-E-S.

11

12 Q. And can you tell the Board where you currently
live?

13

14 A. I currently live on Cortland Road in Canaan
Valley in Tucker County.

15

16 Q. How far is that from the --- the proposed gas
plant at issue in this appeal?

17

A. It's maybe an eight minute drive.

18

Q. Okay.

19

A. But depends on the weather.

20

21 Q. Do you use any area --- any areas that that are
closer to the plant as well?

22

23 A. I do. So I'm a mom of two small children, a
five-year-old and a two-year-old. My five-year-old
24 attends school about less than a mile and a half from

1 this proposed facility. I also am a soccer coach for his
2 U6 Cardinals team, and we practice on the field right
3 next to where this site would be. I also like to hike
4 and bike and walk in the area right around there. I
5 spend a lot of time in Davis and Thomas.

6 Q. How long have you lived in the area?

7 A. I originally moved to the area with my husband
8 in 2016. We got married at Blackwater Falls. So I
9 believe the date was, we moved there June 13th, 2016.

10 Q. Okay.

11 And do you like living in the area?

12 A. I love it.

13 Q. And why do you like living in the area?

14 A. Well, we decided to move to the area because we
15 wanted to be closer to the outdoors. My husband grew up
16 on the Eastern shore of Maryland. He spent most of his
17 childhood playing outside. I grew up in a city. I
18 didn't have that opportunity in my childhood, and we
19 wanted to be closer, to have that opportunity to be able
20 to hike and camp and raise a family in a place where our
21 kids could be outside instead of inside playing video
22 games like a lot of kids these days.

23 Q. And is the quality of the natural environment,
24 including air quality, an important factor in --- in your

1 enjoyment?

2 A. Absolutely. I mean, I think anyone who's been
3 to Canaan or, you know, Blackwater Falls, Davis, or
4 Thomas knows how much of a gem this area is. It's really
5 special. You know, in the United States and it's, even
6 within the State of West Virginia, we all know it's a
7 really special place that I think all West Virginians can
8 be proud of.

9 Q. And do you believe you will be affected
10 personally by the issuance of this permit?

11 A. I do. I think, you know, it really comes down
12 to me for the reasons why I moved to West Virginia. I'm
13 not a West Virginia native, although I've lived here for
14 a while. You know, I moved here to be in the outdoors,
15 in this great area in a small community. With tight
16 relationships, a place where you don't have to lock your
17 car, which is not something I could experience in DC in
18 the '80s. And I'm really just concerned about my
19 children.

20 My professional background is in public health.
21 I have a PhD in public health from Johns Hopkins. And
22 I'm aware of, you know, just everyone calm down. I'm not
23 here as an expert witness. But, you know, it's. There's
24 information in my brain, from my education and my

1 experience that makes me legitimately concerned for my
2 children, for my family. My area was really focused on
3 maternal and child health, so it's particularly personal
4 to me.

5 I have health issues in my family that provide
6 certain vulnerabilities. We all know that comorbidities
7 can be a concern for many people, for children, the
8 elderly. Air quality is a huge part of that. And
9 exposure over a period of time is really a concern, you
10 know. And very recently, my husband had a medical event,
11 a pulmonary embolism. He's in his early '40s. This was
12 a real emergency. He's otherwise been very healthy. And
13 the issue of exposure to fine particulates can raise
14 risks for blood clots to happen again. So that's
15 something I can't stop thinking about.

16 I also will say, I don't know if any of you in
17 the room are parents, but you never stop worrying as a
18 parent. It's always there.

19 Q. Have you reviewed --- have you reviewed this
20 permit application?

21 A. I have.

22 Q. Do you know from this permit application if the
23 amount of particulate will? Well, do you know if this
24 plant will emit particulate into the air?

1 A. From what I can tell, yes.

2 Q. Okay.

3 And your concerns about your family stem from
4 the knowledge that that plant is going to be emitting
5 more particulate into the air?

6 A. Absolutely. So I think there's, you know, like
7 I said, it's kind of. Your knowledge is in your head,
8 and whether, you know, whatever the setting is, let's say
9 you're an engineer and you see a playground. You see a
10 piece of playground equipment, and the person who built
11 the playground said, it's totally safe. Go ahead. And
12 you see that that playground is in disrepair. Would you
13 let your children play on it? You're not going to take
14 their word for it.

15 And that's basically what we're being told here
16 as the public, is that we should take someone. Someone
17 else's word for it. I don't even know this person.
18 We've invited this person to our community, and they
19 won't come. And I'm just really concerned. Why should I
20 take someone else's word for it when they won't even tell
21 us, in plain words, basic information?

22 How tall will the smokestacks be? Why is that
23 business information? There's smokestacks existing all
24 over the United States. I think as a mom, we deserve to

1 know those basic things because I coach soccer right
2 there. And the tangible difference in my child's life, I
3 moved here for my child to play soccer in front of a
4 forest, not in the shadow of a smokestack. And I think
5 we deserve the minimum amount of information to
6 understand how that will impact our lives.

7 I transplanted my family to come there, to have
8 that lifestyle. And if this happens, I really will
9 reconsider being in that area. And it would break my
10 heart, but I can't allow my children to be exposed to
11 that risk.

12 Q. And did you review the permit application?

13 A. Yes.

14 Q. And what was your reaction to --- to viewing
15 that permit application?

16 A. Well, first I had to do a lot of reading. You
17 know, I'm not an expert in some of these areas, and I
18 think it is challenging for the public to understand a
19 lot of this information. And, you know, I do have a
20 technical background, but it's in a very specific area.
21 So I spent a lot of time looking at it. And I think,
22 yeah, it's really challenging to be able to understand
23 what's in there because of the redactions.

24 Q. And does --- do those redactions contribute to

1 your concerns about your family?

2 A. Absolutely. And like I said, there's also.
3 Like anyone else, there are things that you learn in life
4 that are not in school. And one is that when you get a
5 gut sense that something is not right, there's something
6 you should be suspicious of. Why can't we just know
7 what's going on? If this was a legitimate --- if this
8 was a situation that I shouldn't be worried about, then
9 someone would have come to our community like they have
10 in other communities and say, hey, we've got a great
11 project. Come and work with us. We want your kids to
12 work at this place. We want to help you. We want to
13 contribute to your community.

14 And we've invited Fundamental Data to come and
15 talk to us. And they will not come and talk to us. We
16 just want to have a conversation. We want to understand
17 how this will impact our lives. That is the basic
18 dignity that the public deserves.

19 Q. Let me ask you, are you a member of any of the
20 organizations involved in this appeal?

21 A. Yes, sir.

22 Q. Okay.

23 Which one?

24 A. Tucker United.

1 Q. Okay.

2 And what is Tucker United's mission and
3 purpose?

4 A. Well, so before April, Tucker United didn't
5 exist. We were just people living in the county.
6 Enjoying our lives. And then, you know, like I said, no
7 one came to us and presented this project. We had to
8 find out because someone managed to spot it in the paper
9 and say, what is this? And the first meeting about over
10 300 people showed up and we all said, what is going on?
11 And the county commission didn't know what was going on
12 because they didn't know either. No one had talked to
13 them.

14 Why is that? And so I think we all had a lot
15 of questions. And so initially, we weren't an
16 organization. We were just people asking questions. And
17 that's what the public does. We ask questions to try and
18 understand how will these things affect our lives? So we
19 were just getting information. And I think from there,
20 we came together as a group to say, hey, we're concerned
21 about this as a community. We want to understand how
22 this will impact our lives.

23 And since then, it's basically been an extra
24 job on top of my job and my, having two little kids.

1 This is not --- this is not my job. This is --- this is
2 just me trying to protect my family, like everyone else
3 in Tucker United. We're just people who live there, and
4 we're trying to understand how this'll impact our lives.

5 And we do. This is, we're --- we're not
6 opposed to economic development in the county. We want
7 things that are good for our community. We have children
8 who are growing up in this county. We want them to have
9 jobs. The key question is at what cost?

10 Q. Let me ask, is the filing of this appeal
11 consistent with the mission and purpose of Tucker United
12 as you understand it?

13 A. Yes, sir.

14 Q. Okay.

15 And what's your role in that organization?
16 What's your role in Tucker United?

17 A. I'm on the coordinating committee of Tucker
18 United.

19 Q. And just to confirm the accuracy of my
20 representation before, did you submit comments on this
21 permit application?

22 A. Yes, sir.

23 Q. And did Tucker United submit comments?

24 A. Yes, sir.

1 Q. Okay.

2 Let me ask you. If the public had access to
3 confidential information in the application, would that
4 have increased your confidence in the review of this
5 permit and alleviated your concerns?

6 A. Absolutely. I just, I think from the
7 beginning, all we just wanted was information. And I
8 think that's the least, is kind of the least we can ask
9 for is just information. You know.

10 Q. And if the DEP had undertaken dispersion
11 modeling to further examine how pollutants were going to
12 move away from this plant, would that have increased your
13 confidence the product --- that the project was
14 adequately reviewed?

15 A. Definitely. I think something that, you know,
16 anyone who lives in Canaan Valley or who visits there
17 might be aware of is that we have a lot of temperature
18 inversions. So we're to going kind of like a bowl. And
19 so we, what locals say, we hold our weather, right? And
20 so that's not something you need to be an expert to
21 understand. You see it when we had wildfire smoke coming
22 down from Canada just very recently. You could smell it,
23 it smelled like burning plastic everywhere. It was
24 hanging in the air. You couldn't see clearly. It was

1 very obvious what was going on.

2 And that's an effect that happens, you, like in
3 Canaan, if you live there, you know it. And when I read
4 up on understanding temperature inversions, you know,
5 this is like the key case that caused the national air
6 quality standards was in Donora, Pennsylvania, which was
7 a temperature inversion, right? And so it's not just
8 thinking about, okay, well, we checked the boxes, we're
9 able to tweak the numbers to make sure we don't emit this
10 much pollution or that much pollution.

11 But Canaan Valley is a very unique topography.
12 Like I said, it's a beautiful, unique place. But it also
13 has these unique weather phenomena. So what happened in
14 Donora could happen here. And that's basically that
15 there was a temperature inversion, people died. And if
16 you go to Donora, Pennsylvania, there's still a museum
17 there. That community is still scarred to this day. And
18 that history led to the creation of these regulations.
19 Because I've spent a lot of my career working in other
20 countries where they don't have regulations like this.
21 And I can tell you, it's not a place we want to go.

22 Q. Let me just ask. If --- if this modeling was
23 done, would that alleviate your --- your concerns about
24 the plant's effects on your family?

1 A. It would definitely --- it would provide me
2 with information to better understand. How are these
3 pollutants, are they just going to, we're being told, oh,
4 they're just going to blow away. They're not going to
5 bother you. It's not very much. We've been told they're
6 basically insignificant and not something we should worry
7 about. But, you know, as a mom, I'm not going to take
8 someone else's word for it.

9 Q. Okay.

10 And I know you're not a lawyer, but you've ---
11 you've looked into this issue and you've been learning.
12 Do you have a basic understanding of the difference
13 between a minor source and a major source from the Clean
14 Air Act?

15 A. I've come to understand basically.

16 Q. What is your basic understanding?

17 A. My understanding is for the synthetic minor,
18 it's basically that you are artificially maintaining the
19 levels of pollution below the federal threshold that
20 would trigger further regulations for a major source.

21 Q. Okay.

22 And do you know if the permitting of a minor
23 source or a major source has a more rigorous review?

24 A. From my understanding, a major source review

1 triggers this federal threshold and is subject to much
2 more rigorous standards.

3 Q. And if this plant were permitted as a major or
4 rather than a minor source, would that alleviate your
5 concerns about ---?

6 A. Absolutely. Absolutely. And in the end, we
7 want to make sure that our community is safe. And like I
8 said, we want to make sure that that information --- I
9 mean, if we were able to even see the information, I mean
10 like was said earlier, if --- there are headers that are
11 redacted. I mean, what's the justification for that?
12 How is that confidential business information of headings
13 on a table?

14 If I ever did something like that in my
15 doctoral work, I would have been laughed out of the room.
16 You know, I --- I just, it's hard for me. And I
17 understand that, you know, I'm not an expert in this
18 area. I'm not a lawyer. But I think as the public, you
19 know, to put yourselves in our shoes. We're going to
20 live with this forever. We will see the impacts of this
21 project. This is a permit for everyone else. It's a
22 permit business proposition for someone else, but we live
23 with this. Our children live with this forever.

24 ATTORNEY BECHER: Nothing further.

1 sir.

2 Q. How did --- have you reviewed the statute?

3 A. Have I reviewed the statute in detail? I've
4 looked over it in the past, yeah. It's been a long nine
5 months of learning a lot about this whole process.

6 Q. Okay.

7 And just so the record is clear, I didn't hear
8 you contend or allege or assert that the DEP violated the
9 statute, the --- the confidential business information
10 statute when it approved Fundamental's request for trade
11 secret status with respect to certain of its information.

12 Correct?

13 A. In this current testimony, I didn't have --- I
14 didn't mention that specifically. I believe it was in my
15 comments, but I can't remember.

16 Q. Okay.

17 And which parts of the? Well, do you believe
18 that the DEP violated the confidential business
19 information statute information?

20 ATTORNEY BECHER: I'm going to object. I
21 mean, that calls for a legal opinion.

22 THE WITNESS: I guess I'm confused because
23 you're saying I can't be a lawyer, but I am a lawyer. I
24 feel like we're back at this you're an expert, you're not

1 an expert.

2 I, my --- look. I'm a member of the
3 public and I'm speaking as such. I'm speaking as a mom.
4 I have information from my, you know, prior education,
5 but I'm not a lawyer. I'm not a confidential business
6 information specialist. So I mean, I'm just trying to
7 work with what we've seen and my understanding. And I
8 may be wrong, because again, I'm not a lawyer. Is that
9 for confidential business information, the concern is
10 about other businesses taking that information and using
11 it for a competitive advantage, right?

12 So I guess I would question, why would the
13 height of a smokestack be confidential business
14 information? Or why would the headings on a table be
15 confidential business information? And as a member of
16 the public, why can't I know how this will affect my
17 family? I just, and so I think what you are asking is,
18 do I think that the DEP did its due diligence in terms of
19 examining whether or not this was CBI? And so I'd say
20 no, I don't think so.

21 BY ATTORNEY WALLS:

22 Q. But you can't point to any portion of this ---
23 of the CBI statute, confidential business information
24 statute.

1 Do you agree?

2 A. Am I required to do so?

3 ATTORNEY BECHER: Objection, calls for a
4 legal conclusion.

5 THE WITNESS: I don't think I'm required
6 to do that, sir.

7 CHAIR: Okay.

8 You're doing ---

9 THE WITNESS: I'm not a lawyer.

10 CHAIR: --- just what Mr. Driver did
11 earlier. You're trying to --- to make her some kind of
12 an expert witness. She's already said she's not an
13 expert. So unless you have something else, I'll just
14 stop this line of questioning.

15 THE WITNESS: My expertise is protecting
16 my family, and I will continue to do so, sir. That is
17 why I am here.

18 ATTORNEY WALLS: Mr. Chairman, I would
19 appreciate the ability to finish my question before being
20 interrupted by the witness or opposing counsel, whatever.
21 My problem is the Appellant can --- has been permitted to
22 ask her questions about this issue, but --- but I'm not
23 for the same ---?

24 CHAIR: You're allowed to ask the

1 question, but you've asked it three times and you've got
2 an answer. You've asked --- you've asked if she's looked
3 at the statute. She has said she's looked at it. She's
4 not an expert. There's really no reason to keep it ---
5 keep pounding on that issue.

6 ATTORNEY WALLS: Thank you, Your Honor.
7 Thank you.

8 CHAIR: That's all right, you got it.

9 BY ATTORNEY WALLS:

10 Q. So ma'am, do you understand we're here today to
11 determine whether or not the DEP erred in granting the
12 permit to Fundamental?

13 Correct?

14 A. Yes, sir.

15 Q. Have you been injured, damaged, harmed in any
16 way by the DEP's granting of that permit?

17 A. I believe I am here because I am concerned
18 about the implications for my family. And also I am
19 concerned that I have not been given sufficient
20 information as a member of the public. This information,
21 key information, was redacted that affects my ability to
22 understand how this would affect my family and my
23 community. So I do believe that the DEP erred in
24 approving this permit because I don't think it has been

1 given --- the public has been given sufficient and
2 adequate opportunity to understand the implications of
3 this project.

4 Q. And I apologize. Maybe my question was a
5 little misleading or confusing. My question was, have
6 you been harmed? Have you personally been harmed by the
7 fact that the DEP has issued this permit to Fundamental?

8 ATTORNEY BECHER: Objection, asked and
9 answered.

10 CHAIR: Objection sustained.

11 BY ATTORNEY WALLS:

12 Q. How have you been harmed by the DEP's issuance
13 of the permit to Fundamental?

14 ATTORNEY BECHER: Same objection, asked
15 and answered.

16 CHAIR: This is --- I'm going to sustain
17 it as well. You --- you're going over the same thing
18 over and over. We've got your point.

19 BY ATTORNEY WALLS:

20 Q. So ---

21 A. I guess ---.

22 Q. --- ma'am, I understand you moved to Canaan
23 Valley about nine years ago.

24 Right?

1 A. Can I just ask a clarifying question?

2 CHAIR: Yes, ma'am.

3 THE WITNESS: So I --- I guess I'm a
4 little confused because you're saying whether I was
5 harmed. But my understanding is the purpose of this
6 process is to go through a process that ensures that a
7 project aligns to the regulatory boundaries that are to
8 protect the public. But if the only opportunity for the
9 public to be harmed is after a project has been completed
10 and then harms them, that seems to defeat the purpose of
11 regulations that have been designed to protect the public
12 in the first place.

13 So then you're saying, well, we can't
14 really have you admit that you've been harmed until
15 something like Chernobyl happens. And then you say, oh,
16 okay, I was harmed. I don't think that's the intention
17 of this process, but I may be wrong. I'm not an expert,
18 but can you clarify that to me? Why I would not be able
19 to have the ability to have consideration as a member of
20 the public to say I'm concerned about the implications
21 for my family until the project was on top of my son's
22 school?

23 ATTORNEY WALLS: Mr. Chairman, I move to
24 strike this as non-responsive. There was no question

1 presented to this witness. It's only appropriate for
2 ---.

3 THE WITNESS: My question is, when would
4 you consider harm to ---?

5 ATTORNEY WALLS: And I would ask --- I'm
6 going to ask the Chairman to --- to ask the witness not
7 to interrupt me again. But there was no question on the
8 table. I moved to strike the soliloquy.

9 CHAIR: We could strike it.

10 ATTORNEY WALLS: Thank you.

11 BY ATTORNEY WALLS:

12 Q. Ma'am, I understand that you moved here nine
13 years ago.

14 Is that right?

15 A. In 2016, sir.

16 Q. Okay.

17 And were you married at that time?

18 A. As I stated, I moved here when I was unmarried,
19 which was June 13th. And then I got --- oh, no, sorry.
20 We got married on June 11th. So I moved here a couple
21 days before I was married.

22 Q. Okay.

23 A. Not sure why that's relevant.

24 Q. And, I'm sorry. I didn't mean to interrupt

1 you. Go ahead. Were you finished?

2 A. Oh, yeah, I'm done.

3 Q. Okay.

4 And when you moved to the Canaan Valley in
5 2016, were you aware that the Mount Storm Power Station
6 burns millions of tons of high sulfur coal per year?

7 A. Sir, I --- I'm not sure where you're going with
8 that.

9 Q. Yeah. Can you answer the question?

10 A. Yes, I'm aware of Mount Storm. Yeah.

11 Q. Okay.

12 A. Which is in a completely different location on
13 a ridge where the air blows in an eastern direction.

14 ATTORNEY WALLS: Your Honor, I would ---
15 Mr. Chairman, I would ask --- I would ask the Board to
16 ask the witness to respond to my question. If she wants
17 to make a speech, her lawyer can Cross her or Redirect
18 her.

19 THE WITNESS: With all due respect, sir.

20 ATTORNEY WALLS: We're getting a little
21 off the rails here.

22 CHAIR: Just --- just say yes.

23 BY ATTORNEY WALLS:

24 Q. My question was --- was whether or not I knew

1 that mount --- about Mount Storm Power station being in
2 the area where she lives at.

3 A. Of course I am. You see it when you drive into
4 town. Of course.

5 Q. Okay.

6 A. It's far out corridor H. But you are, as
7 anyone who drives into Canaan Valley can see, they are
8 not driving to Canaan Valley to go to Mount Storm.
9 They're driving past it to get away from it.

10 Q. Okay.

11 When you moved --- my question was, when you
12 moved here in 2016, were you aware that Mount Storm Power
13 Station burned millions of tons of high sulfur coal per
14 year?

15 A. Yes.

16 Q. In your direct exam, you talked about, and I'm
17 paraphrasing and I'm sure you'll correct me if I'm wrong,
18 but you talked about something being a --- a hunch. Do
19 you remember that?

20 A. Gut feeling I believe I said.

21 Q. Gut feeling, yes. And I apologize, a was
22 taking notes and I didn't --- what was that gut feeling
23 about?

24 A. I was saying I was concerned about the way this

1 process has worked in terms of the Applicant, Fundamental
2 Data, that there was not any information given to the
3 community up front. That the county commission was not
4 contacted or made aware of this rather large project in
5 our county. That no one approached us in the community
6 to talk to us about the implications. I was saying I
7 have a --- I had a feeling that when you see that someone
8 is not being transparent, that it raises concerns.

9 ATTORNEY WALLS: No further questions.
10 Mr. Chairman.

11 CHAIR: Redirect.

12 ATTORNEY BECHER: Just one, Mr. Chairman.

13 ---

14 REDIRECT EXAMINATION

15 ---

16 BY ATTORNEY BECHER:

17 Q. Ms. Margolies, would you explain why, despite
18 the presence of Mount Storm, you have concerns about this
19 plant?

20 A. Well, sure. I mean, you know it's not apples
21 and apples, right? So if anyone is familiar with the
22 area, Mount Storm is not right next to the Town of Davis.
23 It is not right next to the town of Thomas. It is not on
24 top of Canaan Valley. Mount Storm is much farther out.

1 Actually, not even in Tucker County. It is outside of
2 our county boundaries. It is also on a ridgeline. The
3 prevailing winds blow away from Canaan Valley. As I've
4 said, I am concerned about this specific project. I'm
5 not interested in conjecture about other power plants in
6 other places. We are here to speak of this particular
7 proposal. And this is the proposal I'm concerned about.

8 I'm fully aware that there are other power
9 plants out there in the world. The one I'm concerned
10 about is the one on top of my kids' school.

11 Q. Thank you.

12 CHAIR: You can step down.

13 THE WITNESS: Thank you.

14 CHAIR: Thank you. All right.

15 We're going to take a ten minute recess so
16 we can get a break, stretch your legs, okay? Go back in
17 ten minutes.

18 ---
19 (WHEREUPON, A SHORT BREAK WAS TAKEN DURING THE
20 PROCEEDING.)

21 ---
22 CHAIR: All right.

23 Back in session. Becher, do you have
24 another witness to call?

1 ATTORNEY BECHER: Yes, we'd call our third
2 and final standing witness, Ms. Marilyn Shoenfeld. And I
3 believe she's on Zoom.

4 CHAIR: Okay.

5 And we've agreed to try to keep
6 questioning close on this one.

7 Right?

8 ATTORNEY BECHER: Yes. And --- and
9 Marilyn, we have been requested by the Board to keep this
10 succinct and efficient.

11 MS. SHOENFELD: Do what?

12 ATTORNEY BECHER: To --- to keep it short.

13 MS. SHOENFELD: Oh, okay.

14 I'm not good at that.

15 ATTORNEY BECHER: We'll --- we'll do our
16 best.

17 CHAIR: We have to swear her in first?

18 ATTORNEY BECHER: Yes.

19 COURT REPORTER: Can you please raise your
20 right hand, ma'am?

21 MS. SHOENFELD: Yes.

22 ---

23 MARILYN SHOENFELD,
24 CALLED AS A WITNESS IN THE FOLLOWING PROCEEDING, AND

1 HAVING FIRST BEEN DULY SWORN, TESTIFIED AND SAID AS
2 FOLLOWS:

3 ---

4 DIRECT EXAMINATION

5 ---

6 BY ATTORNEY BECHER:

7 Q. Okay.

8 Ms. Shoenfeld, can you, just --- just so the
9 record's clear, state and spell your last name for the
10 Board?

11 A. My name is Marilyn Shoenfeld, and it's S-H-O-E-
12 N-F-E-L-D.

13 Q. Okay.

14 And --- and where do you live, Ms. Shoenfeld?

15 A. I live in, at 167 Balsam Way in Davis in Canaan
16 Valley, in Timberline.

17 Q. Okay.

18 And do you like where you live?

19 A. I love where I live. We moved here, bought the
20 house in 2001. I lived here permanently as a permanent
21 voting resident of Tucker County since 2007.

22 Q. Okay.

23 Why do you like living there?

24 A. We moved here because of clean air, removed

1 from the city, the healthy environment, the natural
2 resources, the protected public lands, the availability
3 of hiking, of access to Dolly Sods, and the wonderful
4 small towns of Davis and Thomas.

5 Q. Okay.

6 And are Davis and Thomas closer to the plant
7 than --- than your actual residence?

8 A. Oh, yes, much closer. My house is about eight
9 miles from where the plant is, and Davis and Thomas are
10 less than a mile.

11 Q. Okay.

12 How frequently do you visit Davis and Thomas?

13 A. I would say the three to four times a week.
14 And I go there, my church is there, I shop there, I
15 socialize there, and I volunteer there.

16 Q. All right.

17 And why do you believe that you'll be affected
18 by --- by the permitting of this Fundamental Data gas
19 plant?

20 A. In looking at the permit, even the permit as
21 written and as approved emits an immense amount of
22 pollutants into the air. And my concern is that the air
23 quality will be deteriorated. And that it will affect
24 various habitats, environments, including the Canaan

1 Valley National Wildlife Refuge and, which has 19,000
2 acres, and Dolly Sods, which is a Class 1 protected area
3 under the Clean Air Act.

4 Q. Will ---?

5 A. As well as the Towns of Davis and Thomas.

6 Q. Will it affect your enjoyment of the area?

7 A. Oh, yes.

8 Q. How so?

9 A. It would affect, I'm elderly, as you can see.
10 It would affect my health. It would affect my ability to
11 enjoy the areas that I love. I think it would affect
12 primarily the health of the people who live in Davis and
13 Thomas, particularly the school, the library, the food
14 pantry, and the new affordable housing development are
15 all eight tenths of a mile from the gas plant. So those
16 emissions are going to affect that area. And I'm not
17 testifying as an expert because I'm not, so.

18 Q. Okay.

19 Thank you. Thank you for that. Will this ---
20 this affect your enjoyment of living in the area knowing
21 that this gas plant is permanently allowed to be built?

22 A. Yes, I think it will. I think it will come
23 cause a lot of harm with the deterioration of the air
24 quality.

1 Q. Are you a member of the organization, any of
2 the organizations involved in this appeal?

3 A. I am involved with the West Virginia Highlands
4 Conservancy.

5 Q. And what is your role in the organization?

6 A. I'm president.

7 Q. Did the Highlands Conservancy submit comments
8 challenging this permit?

9 A. We did.

10 Q. Okay.

11 How does this --- this challenge to the permit
12 align with the --- the mission and values of the
13 Highlands Conservancy?

14 A. The Highlands Conservancy's mission statement
15 states that we promote, encourage, and work for the
16 conservation, including both preservation and wise
17 management and appreciation of the natural resources of
18 West Virginia and the nation. We also preserve,
19 advocate, and protect these areas. We have been in
20 existence for 60 years. We have 1,781 members of whom
21 556 live in Tucker County.

22 Q. Thank you. Now, in the interest of keeping
23 this short, if I asked you about your concerns concerning
24 haze, for example, would your testimony be substantially

1 similar to that of Dr. Kotcon, who testified earlier?

2 A. It would, it would. It would be not
3 necessarily haze, but the quantity of pollutants that are
4 being emitted into the air and how they're carried and
5 how they're dispersed and how they're going to affect
6 Dolly Sods and the other protected areas and the people
7 in the town.

8 Q. And would --- would the permitting of this
9 plant detract from your enjoyment of Dolly science?

10 A. Oh, definitely. Yeah. Yeah, I think it would.

11 Q. Let me ask you if --- are some of your
12 concerns? Do they stem from or are they exacerbated by
13 the redactions of the information department application?

14 A. Yes. That was one of the main thrusts of our
15 comments were, is that the permit was so thoroughly
16 redacted that you really could not tell what was going
17 on. And as other people have said, the height of the
18 turbines, the redaction of the calculations of the
19 emissions, and then in the permit itself, how all the
20 level --- the emission levels were just under the level
21 of it having to qualify for a major source permit.

22 Q. Okay.

23 And you had said the height of the turbines.
24 Do you mean the height of the smokestacks?

1 A. Yes.

2 Q. If this permit were, or if the redacted data in
3 this permit were made public, would that alleviate some
4 of your concerns?

5 A. Yes, it would.

6 Q. Okay.

7 If the DEP had undertaken dispersion modeling
8 to, for example, see how this would affect Dolly Sods,
9 would that alleviate your concerns?

10 A. It would have. And we asked for that at the
11 public meeting at Canaan, and it was refused. We offered
12 to do dispersion modeling on our own and pay for it, and
13 that was also refused.

14 Q. Okay.

15 Do you have any basic understanding between the
16 difference between a minor and a major source under the
17 Clean Air Act?

18 A. I have a very basic understanding of it. And
19 the minor source has much less monitoring requirements
20 and restrictions and gives the company much more
21 flexibility in what they're going to do with their
22 emissions. Whereas a major source would require air
23 monitoring and POC approval and various other protections
24 that would be afforded to the public.

1 Q. Would your concerns be alleviated if this were
2 permitted as a major source rather than a minor source?

3 A. Yes, it would.

4 Q. Okay.

5 And would those alleviations of your concerns,
6 would that increase your enjoyment of your activities in
7 the area in Dolly Sods?

8 A. It would that I would --- I would have
9 knowledge of what the air quality actually was if there
10 was monitoring going on. And so it would make me more
11 comfortable going up there. Yes.

12 Q. Thank you.

13 ATTORNEY BECHER: Nothing further.

14 CHAIR: Mr. Driver.

15 ATTORNEY DRIVER: Thank you. Mr.
16 Chairman. I think I only have one question.

17 ---

18 CROSS EXAMINATION

19 ---

20 BY ATTORNEY DRIVER:

21 Q. Ms. Shoenfeld, you said that it would make you
22 more comfortable if you knew that there was monitoring
23 going on.

24 Is that correct?

1 A. Yes, I did. Yeah.

2 ATTORNEY DRIVER: I'll pass to the
3 Intervener --- oh, actually, before I do, Mr. Chairman,
4 just to make the record, the same objection I made about
5 to the extent that the witness's testimony goes to
6 speculation, opinion, or legal conclusions, I enter an
7 objection. And I'll go ahead and pass it to the
8 Intervener.

9 ATTORNEY WALLS: Mr. Chairman, we join in
10 the DEP's objection.

11 ---

12 CROSS EXAMINATION

13 ---

14 BY ATTORNEY WALLS:

15 Q. I just have one question, Ms. Shoenfeld. Have
16 you or have the Highlands Conservancy been injured or
17 damaged by the DEP's decision to issue the permit itself?

18 A. It has caused me personally emotional distress,
19 and it has caused a lot of our staff to spend an immense
20 amount of time researching the permit and coming up with
21 our response. So I don't know if you'd call that harm,
22 but it was definitely not positive. I think the harm is
23 in the future when the plant is actually built, there
24 would be physical harm to people's health.

1 Q. Thank you.

2 ATTORNEY WALLS: No further questions, Mr.
3 Chairman.

4 CHAIR: Any Redirect?

5 ATTORNEY BECHER: Yes.

6 ---

7 REDIRECT EXAMINATION

8 ---

9 BY ATTORNEY BECHER:

10 Q. That --- that emotional stress you mentioned I
11 think is self-evident. Let me ask you about the
12 attention of your staff. Did that incur --- did that
13 cause the Highlands Conservancy to expend resources in
14 --- in challenging this plant?

15 A. Yes, we spent resources in researching the
16 permit and writing our comments.

17 ATTORNEY BECHER: Nothing further.

18 CHAIR: All right.

19 Thank you, Ms. Shoenfeld. We appreciate
20 your testimony.

21 THE WITNESS: Thank you.

22 CHAIR: Next witness.

23 ATTORNEY BECHER: Next we will call Mayor
24 Al Davis. Excuse me, Mayor Al Tomson, the --- the mayor

1 of Davis.

2 MR. TOMSON: I was confused if that was me
3 or not.

4 COURT REPORTER: Can you raise your right
5 hand?

6 ---

7 ALAN TOMSON,
8 CALLED AS A WITNESS IN THE FOLLOWING PROCEEDING, AND
9 HAVING FIRST BEEN DULY SWORN, TESTIFIED AND SAID AS
10 FOLLOWS:

11 ---

12 DIRECT EXAMINATION

13 ---

14 BY ATTORNEY BECHER:

15 Q. Mayor Tomson, will you state your name and
16 spell your last name for the record?

17 A. Sure. My name is Alan Tomson. Tomson is
18 spelled T-O-M-S-O-N. There's no H and there's no P.

19 Q. And Mayor Tomson, it may be self-evident at
20 this point, but can you tell the Board your current
21 profession?

22 A. I'm the mayor of the Town of Davis, and I work
23 with the town council, and I act as the CEO for the
24 organization.

1 Q. How long have you been in that position?

2 A. I've been the mayor for five years. Right now
3 I'm in my third of two year terms. And before that, I
4 was on town council for six years.

5 Q. Can you briefly describe your education and
6 work background?

7 A. Sure. I graduated from West Point and then
8 spent 32 years as an army officer. I started as an
9 infantry paratrooper, picked up a secondary specialty as
10 a financial controller. I then morphed into special
11 operations, and I ended my career with military and
12 national intelligence in the Washington DC area.

13 I have an engineering degree, I have an MBA,
14 and I have a doctorate in organizational leadership. In
15 my fiscal responsibilities in the military, I had a
16 combined resource responsibility exceeding \$32 billion.
17 I was responsible for 45,000 positions, and I served as a
18 commander for a special operations airborne brigade. So
19 that's kind of my background.

20 Q. As mayor of Davis, and given your background in
21 managing economies, is it part of your role to understand
22 economic drivers for the community?

23 A. I think it is. We're in a tourist based
24 economy, and the drivers for that are critical for me to

1 understand and ascertain how different things affect
2 those --- those drivers and conditions.

3 Q. What --- what attracts people to the Town of
4 Davis?

5 A. Well, I think it's, as you've heard already,
6 it's the outdoor environment. It's the, I guess the
7 opportunities for recreation that are all focused on the
8 outdoors. Whether it's skiing in the winter, world class
9 mountain biking in the spring, summer, and fall. We have
10 hiking trails, cross country skiing trails. We have
11 opportunity for people to partake in the area. And I
12 think it goes back to the late Senator Robert Byrd
13 described the area as the crown jewel of West Virginia
14 with Blackwater Falls and Canaan Valley in particular.

15 Q. Thank you.

16 ATTORNEY YAUSSY: Mr. Chairman, we're
17 going to object at this point. If this testimony's going
18 to be about the beauty of Canaan Valley or its effect on
19 tourism of the plant, I mean, all that is irrelevant to
20 the permit itself or the confidential business
21 information that was redacted. It's all irrelevant.

22 ATTORNEY BECHER: And we would argue ---
23 go ahead. Go ahead, Scott.

24 ATTORNEY DRIVER: Mr. Chairman, we join

1 and if it's, if the objection's overruled, just please
2 consider it an ongoing objection.

3 ATTORNEY BECHER: Yes, and --- and we had
4 argued about this a little bit previously at the --- the
5 prior session of the hearing, but there are certain
6 regulations, again, most specifically regarding air
7 dispersion modeling, which specifically direct and allow
8 the DEP to take into account the purposes and policies of
9 the West Virginia Air Pollution Control Act, which
10 include promoting the economies of the state as well as
11 facilitating enjoyment of natural areas.

12 And Mr. Tomson is here to talk about the
13 economies of these towns which contribute to the overall
14 state economy as well as how that economy is based on the
15 enjoyment of natural attractions.

16 ATTORNEY YAUSSY: And to the extent he's
17 going to be doing that, offering opinion testimony on the
18 economy and its effect, it's again, expert testimony.
19 He's not qualified to give testimony on that --- on that
20 score or anything else.

21 ATTORNEY BECHER: I believe as the mayor
22 of Davis, and he has already testified that he has a duty
23 to understand the economies. He will express his
24 understanding, his factual knowledge of what those

1 drivers are.

2 ATTORNEY GRAY: He was not designated as
3 an expert?

4 ATTORNEY BECHER: He was not designated as
5 an expert.

6 ATTORNEY GRAY: Okay.
7 So the Board will give it the appropriate
8 weight.

9 ATTORNEY BECHER: Thank you.

10 ATTORNEY GRAY: The Board, but not as an
11 expert.

12 ATTORNEY YAUSSY: Note our continuing
13 objection.

14 CHAIR: Right. We'll note it.

15 ATTORNEY YAUSSY: Thank you, Mr. Chair.

16 CHAIR: And ask to keep the questioning
17 and answers short. We already, we all understand the
18 beauty of the area and so forth. So try to keep it.

19 BY ATTORNEY BECHER:

20 Q. All right.

21 In addition to the beauty, can you describe the
22 economic base of Davis and Thomas?

23 A. Well, I think it all focuses on outdoor
24 recreation. We have outfitters there. We have ski

1 areas, we have bike shops, we have restaurants,
2 distilleries, breweries, all things that support a
3 tourist-based economy.

4 Q. And what --- what is the view of the community
5 based on your understanding of this proposed gas plant?

6 A. Well, I think if you take into consideration
7 the community as being defined as the City of Thomas, the
8 Town of Davis, and Canaan valley, the majority of the
9 people, from my appreciation in interacting with the
10 community, object to this proposed power plant.

11 Q. Okay.

12 Based on your understanding of the communities
13 and its values, do you think the gas plant threatens the
14 economic basis of --- of these towns?

15 A. I think it does. I think people have voiced
16 their concern with regards to. First, would they
17 themselves, as residents, continue to live there? And
18 other people have expressed concerns as to whether they
19 want to come and visit the area. And I receive phone
20 calls and --- and other contacts from people that express
21 those.

22 Q. Okay.

23 Is the economy in Davis, in --- in the other
24 areas in the vicinity more susceptible to disruption from

1 a gas plant than in other communities?

2 A. Well, I think as far as the gas plant and the
3 backup diesel power for the plant, that does threaten the
4 area. What we realized during COVID was that we had an
5 economic boom in tourism because people from other areas
6 wanted to find spaces where they had room to be away from
7 other people and they had clean air to breathe. So we
8 had an upsurge in tourism that continues to this day.
9 And that's reported from the convention and visitor's
10 bureau.

11 Q. Great. And so your factual understanding of
12 that is based on your role as mayor in understanding the
13 information from the visitor's bureau?

14 A. That is correct.

15 Q. Do you share the values of the community or do
16 you believe that your values are consistent with --- with
17 the majority of the community?

18 A. Well, I think my values are I serve at the
19 pleasure of the community. If --- if they don't agree
20 with me, then they can vote me out office, which they
21 haven't done three times. So I think that our values are
22 in sync. And again, interacting with the community. I
23 hear the same things expressed by people that I have
24 concerns myself with regards to the proposed power plant.

1 Q. Okay.

2 And what --- what are your concerns about the
3 proposed power plant?

4 A. Well, for me, the biggest concern is the toxic
5 emissions and the close proximity of the power plant.
6 I've gone on record before in saying I don't oppose data
7 centers, I don't oppose the power plant if they are put
8 in the proper location. And I disagree with this
9 proposed location because it's less than a mile from the
10 two municipalities, and because of prevailing winds and
11 also the temperature inversions, it threatens Canaan
12 Valley. And those are things that trouble me both as a
13 mayor and trouble me as a private citizen.

14 Q. If this gas plant is ultimately built, will
15 that affect your desire to remain in --- in the town of
16 Davis?

17 A. I think it would. I'm a 26-year cancer
18 survivor. And what I've learned from the toxic emissions
19 and EPA documents that talk about the fact that people
20 are more prone to disease and other factors when they
21 live closer as opposed to further away from the source of
22 emission, that would probably have me and my family move
23 away. And I wouldn't want my family and my sons and
24 grandkids to come and visit the area because I wouldn't

1 want them exposed to those toxins.

2 Q. Did the --- did the presentation of this
3 permit, the way that this permit process was undertaken,
4 do you think that --- that contributed to negative
5 feelings in the community?

6 A. I think as far as the permit being a surprise,
7 I had a call from an individual that said, was I aware of
8 this permit for a power plant? And I said, no, I wasn't.
9 I called the mayor of the City of Thomas. I asked him if
10 he was aware of the power plant. He said no. I called
11 the president of the county commission and asked them if
12 they were aware of the power plant, and they said this is
13 the first they've heard of it. And I called the
14 executive director for the Development Authority for
15 Tucker County, asked the same question and I got the same
16 response. They were totally unaware.

17 So the local community was totally blindsided
18 by the effort to build a proposed power plant in the
19 area. And there was no local discussion or consideration
20 where I think, it's very disingenuous, both to the area
21 and to the citizens. And I think if we had that dialogue
22 early on, probably a better solution could have been
23 found and would have avoided all this angst.

24 Q. Thank you. And --- and Mayor Tomson, is there

1 anything else you'd like to say in your capacity as mayor
2 or as mayor personally to help this Board make their
3 decision?

4 A. Well, I think there's --- there's a couple of
5 things. I think the DEP hearing that we had was --- was
6 very effective, very professionally run. It was
7 scheduled for two and a half hours. They went past 11:00
8 p.m. that evening. Gave everybody that wanted to talk an
9 opportunity to express their opinions, their concerns,
10 and ask their questions.

11 What also came to light in that hearing was
12 that the Air Quality Division gets about 300 applications
13 a year, and they approve 300 applications a year. So
14 that was a little bit of a surprise. And the takeaway
15 from many people that I talked to at that hearing was
16 that they had concerns that the Air Quality Division was
17 more concerned with helping business get to an approved
18 permit as opposed to the health concerns of the public
19 and the community.

20 The other concern that I have is that the DEP
21 Air Quality Division process is very formulaic. It's a
22 --- it's a number of steps. You check the box, you get a
23 permit. There was not, as best I can tell, a real
24 challenge of the synthetic minor permit designation by

1 Fundamental Data. If you go to open source information
2 and you look at about 30 of the largest power plants in
3 the region, this one, based on people's estimates of the
4 power output, would be in the top quarter of those 30.
5 And of those 29 other power plants, they're all major
6 source. So it begs the question of a layperson why this
7 one is allowed to be a synthetic minor with less. Less
8 analysis, less determination.

9 And the final concern that I have is, is one
10 kind of common sense. And this is again a question to
11 the Air Quality Division. You have a power plant that's
12 not going to be connected to the grid. It's going to
13 produce power for specific customers. Fundamental Data
14 in a Wall Street Journal article said that they would be
15 supporting power to data centers. Data centers operate
16 with continuous power as an absolute requirement.

17 How can Fundamental Data say that we will stay
18 within the limits of a minor source permit and we will
19 ramp down when we get close to those limits when they
20 have to provide non-interrupted power to support data
21 centers? To me it's illogical.

22 And the final point that I would make is
23 everybody keeps saying this is a natural gas fired power
24 plant. There's going to be stored 30 million gallons of

1 diesel fuel as a backup source of power. Which again
2 supports the concept that they want to produce power
3 without interruption because the diesel fuel is there as
4 a contingency if there's a break in the natural gas
5 supply. So again, from a layman's perspective, there's
6 still more questions that --- that need to be answered.
7 And we don't feel that through the permitting process
8 that those necessarily received the due diligence that
9 they should have been afforded. That's all I have.

10 ATTORNEY BECHER: I have nothing further.

11 CHAIR: Mr. Driver.

12 ATTORNEY DRIVER: Thank you, Mr. Chairman.
13 I've just got a couple of questions.

14 ---

15 CROSS EXAMINATION

16 ---

17 BY ATTORNEY DRIVER:

18 Q. Mayor Tomson, have you always opposed the
19 implementation of this facility in Tucker County?

20 A. I did not. My initial reaction was I wanted to
21 find out more information. I requested and had a public
22 meeting to glean the --- the feeling of the community as
23 well as to share all the information that was known at
24 the time. This was back in April. We had 300 people

1 attend that public meeting and we had 100 people video
2 conference. So 400 people were interested in the
3 subject. And I publicly stated in that meeting that I
4 was neutral to the proposal. Doing my due diligence,
5 talking to operators of power plants, talking to
6 environmentalists, talking to experts in the scientific
7 community, and talking to experts on data centers as
8 recently as two weeks ago, I formed a different opinion
9 that this was dangerous to the community, harmful to the
10 public, and it threatened the wellbeing of the economics
11 of --- of the area.

12 Q. Have you ever gone on record stating that you
13 vocally opposed the construction of this facility
14 anywhere in Tucker County?

15 A. I have.

16 Q. Could you tell me when that was?

17 A. I did it at the public meeting that the DEP
18 had. I've done it at council meetings. I sponsored a
19 resolution for the Town of Davis that's opposed to the
20 building of the power plant. So those are just a couple
21 of the things. And I've gone on public record on the
22 media as saying the same thing.

23 Q. Would you say then that it's not a matter of
24 being a short distance from anywhere in Tucker County,

1 but being anywhere in Tucker County whatsoever?

2 A. I think the problem is Davis, Thomas, and
3 Canaan Valley, and it's the proximity that concerns
4 people with regards to their health. There are other
5 areas of Tucker County that would not be affected by the
6 power plant, such as the county seat, the City of
7 Parsons. So, you know, my focus is on top of the
8 mountain where I live and where I'm the mayor.

9 Q. If there are areas in Tucker County where it
10 would not have impacted it or impacted the communities,
11 then why do you oppose it everywhere in Tucker County?

12 A. I don't. I would be very happy if they move
13 the power plant next to Mount Storm, keeping it in Tucker
14 County, but 15 miles away from the populous
15 municipalities, and it wouldn't be in the prevailing
16 winds that go over Canaan Valley.

17 Q. So I might be misunderstanding what you said
18 about --- about statements you have made. You've never
19 said that you oppose the building of the facility
20 anywhere in Tucker County?

21 A. I basically have said I want it to be built in
22 a proper location.

23 Q. And I'm sorry if this gets into asked and
24 answer territory, but I just want clarification. So you

1 are not opposed to it being built anywhere in Tucker
2 County at this time.

3 Correct?

4 A. Again, I would focus on a specific location,
5 and that's an industrial setting that's already
6 established in the Mount Storm area, which is on the
7 Tucker County and Grant County line.

8 Q. So somewhere in Tucker County, you'd now be
9 okay with it.

10 Is that correct?

11 A. Somewhere is too general of a statement for me.

12 Q. Would you be okay with it anywhere in Tucker
13 County?

14 A. Yes, if it were properly located.

15 Q. But you've made contrary statements.

16 Is that correct? In the past?

17 A. I've made statements that have evolved as my
18 knowledge and my education to this particular subject has
19 allowed me to better informed. So I came out neutral in
20 the very beginning because I had no basis to be opposed
21 to the power plant. But as I learned more about it and
22 informed myself, I became --- I became an opponent of the
23 power plant.

24 Q. Okay.

1 ATTORNEY DRIVER: Mr. Chair, I won't
2 belabor this line of questioning. I'll pass over to the
3 Intervener.

4 CHAIR: Mr. Walls.

5 ATTORNEY WALLS: Thank you, Mr. Chairman.

6 ---

7 CROSS EXAMINATION

8 ---

9 BY ATTORNEY WALLS:

10 Q. Mayor, isn't this plant going to be built right
11 next to or behind a landfill?

12 A. It will be built right next to a landfill,
13 which is apples and oranges, because the landfill doesn't
14 does not emit the toxic emissions that you're talking
15 about a major power plant emitting.

16 Q. Okay.

17 Is it fair for the record to reflect that you
18 believe this power plant will affect tourism in the
19 valley even if it never, ever, ever violates its air
20 permit?

21 A. I think that the location that's being proposed
22 is a deterrent for people that want to come and visit and
23 be tourists in our area. I also feel that it is the
24 basis for people not investing in the area. I've had

1 numerous phone calls from people out of the area that
2 have said they want to buy property or houses in the area
3 of Davis, and they're waiting to see what happens with
4 the power plant. If the power plant gets built in the
5 proposed location, they will not buy. They will not come
6 to the area.

7 Q. And in addition to this plant being built next
8 to the landfill, is it also --- is that old strip line
9 property?

10 A. That strip mine property is absolutely the
11 case. It's right next to the landfill, and it's less
12 than a mile from the Town of Davis and the closest
13 residence.

14 Q. I --- I understand that. And do you know how
15 long ago that strip mine was --- was reclaimed?

16 A. I want to say it's probably been 30 or 40
17 years.

18 Q. And the Towns of Davis and Thomas were where
19 they were now when that strip mine was in operation.

20 Right?

21 A. Correct.

22 Q. Yeah. In, I'm not --- I haven't been to the
23 site. I'll be telling you, I've been to Davis and Thomas
24 many times, and I've seen the site from aerial

1 photographs. But it sure seems pretty industrial to me.
2 You know, you're on an old strip mine next to a landfill.

3 Right?

4 A. That would be a true statement from the sense
5 that a landfill is industrial. However, it's again, it's
6 a focus on the emissions, not the aesthetics. It's the
7 emissions that have people concerned.

8 Q. Yeah. And I want to go back to my earlier
9 question, because I don't think I answered it, but maybe
10 you did. Is it fair for the record to reflect that you
11 believe the power plant will negatively affect tourism
12 and economics in the valley even if it never, ever
13 violates its air permit?

14 A. I think it would from the sense that it is a
15 negative perceived facility operating in our tourist
16 environment.

17 Q. And sir, you believe you're qualified to opine
18 on whether or not Fundamental is going to violate its air
19 permit in the future?

20 A. I would opine from the standpoint of, as I said
21 earlier, just common sense, given their customer, given
22 the need for 100 percent reliability of power production,
23 that if they needed to throttle back, they wouldn't be in
24 a position where they could do that.

1 Q. Have you had any experience in analyzing,
2 evaluating power plants?

3 A. No, that's not in my wheelhouse.

4 ATTORNEY WALLS: I have no further
5 questions, Mr. Chairman.

6 CHAIR: Any Redirect?

7 ATTORNEY BECHER: Nothing further.

8 CHAIR: You can step down. Thank you.

9 THE WITNESS: Okay, thank you.

10 CHAIR: What's Your next witness?

11 ATTORNEY BECHER: Dr. Ranajit Sahu.

12 CHAIR: Okay.

13 We are coming up close to noon. We'll
14 probably want to break at noon. So I don't know how you
15 want to structure your testimony with him since he's
16 remote.

17 ATTORNEY BECHER: Yeah. Mr. Sahu --- Dr.
18 Sahu is probably the longest witness.

19 CHAIR: yeah.

20 ATTORNEY BECHER: That --- that we have.
21 I would suggest maybe we see how long it takes to get
22 through voir dire and then considering break for lunch
23 before we get into the --- the more substantive portions
24 of his testimony.

1 EXAMINATION ON QUALIFICATIONS

2 ---

3 BY ATTORNEY BECHER:4 Q. We --- we can hear you just fine, Dr. Sahu.
5 Thank you.

6 A. Yeah, thank you.

7 Q. And before we --- we get started, Dr. Sahu, can
8 you state and spell your name for the record, please?9 A. Sure. My first name is spelled Ranajit, I'm
10 from India, R-A-N-A-J-I-T. I go by Ron. And the last
11 name is spelled S-A-H-U, Sahu.12 Q. Before we get to your testimony, I'd like to
13 ask you a bit about your qualifications. Do you have a
14 copy of the CV that was disclosed as an exhibit in this
15 case with you?

16 A. Yes.

17 Q. Okay.

18 ATTORNEY BECHER: And if I may approach?19 ATTORNEY GRAY: Is there an extra copy for
20 the member that's on Zoom? Or can it be?21 ATTORNEY BECHER: On Zoom? We submitted
22 these through --- through Kenna yesterday to --- to give
23 to Mr. Knee.24 ATTORNEY GRAY: Okay.

1 ATTORNEY BECHER: Mr. Knee, can I confirm
2 that you have the exhibits, including I believe it was
3 labeled as prospective Appellant's exhibit, to Dr. Sahu's
4 CV.

5 MR. KNEE: Is the mic on? I have them
6 electronically.

7 ATTORNEY BECHER: Okay, thanks.

8 BY ATTORNEY BECHER:

9 Q. Dr. Sahu, I'd like to start with your
10 educational background. Can you describe for me briefly
11 your undergraduate studies?

12 A. Sure. I have a Bachelor of Technology from the
13 Indian Institute of Technology, the IIT, in mechanical
14 engineering. And that was in 1983.

15 Q. Did --- did that degree involve at all the
16 study of power plants or air emissions?

17 A. It involved substantially the study of power
18 plants and how power plants operate and how power plants
19 generate power and the various types of power plants,
20 turbines, engines, the more conventional steam power
21 plants, all of that. At that time, it did not involve a
22 substantial amount of issues dealing with the emissions
23 from combusting fuels in power plants. But as a
24 mechanical engineer, bachelor's degree involved, you

1 know, heat transfer and thermodynamics and combustion and
2 how power plants operate.

3 Q. Okay.

4 And then did you go on after your undergraduate
5 studies to pursue further education?

6 A. Yes, that's when I came to the United States.
7 I came to a school called the California Institute of
8 Technology, or Caltech, in Pasadena, California. I got
9 my master's first in, it was --- it was in more
10 aerodynamics and controls. And then I stayed on to get
11 my PhD. That was in combustion, and specifically
12 actually coal combustion, and dealing with the emissions
13 and related issues from combustion. And I got that and
14 graduated in 1988.

15 Q. Okay.

16 And during those degrees, your graduate
17 degrees, did you have the chance to study air emissions?

18 A. Yes, substantially so in doing my graduate
19 work. I had --- Caltech is a small school. You get to
20 choose your area of expertise and your subject matter and
21 your advisors. I had a couple of advisors. One was in
22 the chemical engineering department and specifically on
23 the chemistry and sort of the chemical related issues of
24 air pollution. And then I had another professor who was

1 in the environmental science department who was my direct
2 thesis advisor. And those almost all entirely air
3 pollution related. And not just the formation of air
4 pollution, but also the --- the impact and fate and
5 transport of the pollutants that are emitted into the
6 ambient air. And so that was a lot of my PhD or graduate
7 work when I was at Caltech.

8 Q. And since receiving your degree, do you have
9 relevant teaching experience related to power plants or
10 air missions?

11 A. Yes. I --- separate from my work experience, I
12 never was full time faculty. I decided to go into design
13 first and then consulting. But for about 20 years, from
14 1992 to 2011 or 2012, I taught as adjunct faculty for a
15 number of schools. I taught at Caltech upon leaving for
16 several courses. But then I taught at UCLA, which is the
17 University of California at Los Angeles. Taught at the
18 University of Southern California, USC, another school
19 here. Loyola Marymount University, at UC Riverside.

20 Adjunct courses on a variety of environmental
21 issues, including air pollution. It wasn't all
22 exclusively air pollution, but air pollution, risk
23 assessment, dispersion modeling. All of those related
24 issues were part of my teaching experience for about two

1 decades.

2 Q. Okay.

3 And your work experience, I know based on your
4 --- your CV here, you've worked in several different
5 positions prior to becoming an independent consultant.
6 Can you talk about your work experience that --- that
7 specifically involved dealing with air pollutants and air
8 emissions?

9 A. Sure. The very first job I had, which was
10 after graduating Caltech, was for a company called
11 Kinetics Technology International, KTI. I'm sorry, HTRI,
12 sort of a design firm, Heat Transfer Research Institute.
13 That one --- that was more design of equipment. That
14 particular job for about a year was not directly related
15 to air emissions. It was more equipment design and
16 equipment specification.

17 I then moved to KTI, the second job, and that
18 was for design of equipment almost exclusively for air
19 emissions and air emissions control. It was designing
20 combustion equipment, large combustors, boilers and
21 refineries and power plants and other types of chemical
22 plants. And then the emissions impact of those,
23 including pollution control technology, things like what
24 has been called here, the SCR, the oxidation catalyst and

1 the reduction catalyst that will be used. Design of
2 those type of pollution controls is what I did at KTI.

3 And then I moved and worked for a large
4 engineering construction and AE, architecture
5 engineering, construction company called Parsons for
6 about ten years, from roughly 1990 to about 1999. And
7 there I was working within Parsons, which was a very
8 large entity, still is. In fact, it's headquartered in
9 Virginia right now. They're a very large consulting air
10 pollution and environmental consulting group. I worked
11 in that group. And interfaced with the other parts of
12 Parsons, which were more design, kind of work I had done
13 in my previous work. But that engineering science was
14 the entity within Parsons, that was the consulting arm.
15 I stayed there for ten years doing consulting for a
16 variety of Parsons internal clients, but also external
17 clients, meaning engineering science clients. A lot of
18 work with power plants, a lot of work with gas fired
19 equipment during that period of time before I left to go
20 on my own.

21 Q. And you say a lot of work involving gas fired
22 power plants. Do you give an estimate of how much your
23 work involved gas fired power plants or how many power
24 plants you're involved with?

1 A. A lot of power plants. Parsons had a separate
2 division dealing with power plants, not just gas fired,
3 coal fired, landfill gas power plants, biomass power
4 plants, variety of different fuels for power plants to
5 generate electrical power for captive industrial
6 operations, but also for the grid, what we would call
7 electric generating units for the grid. So there were a
8 number of Parsons clients that we had to deal with the
9 environmental impacts. I couldn't tell you how many. It
10 was in the tens to, you know, 20 or 30 in the ten years
11 that I was there.

12 But engineering science on the consulting side
13 had its own clients for air emissions measuring, for
14 monitoring. In fact, one of the groups that I led was,
15 under my overall charge was an air monitoring group at
16 engineering science. And we did hundreds over the period
17 of time that I was there of testing of power plant
18 emissions using stack testing, using continuous emission
19 monitoring. And some of those projects also were
20 modifications to power plants or to add new turbines or
21 new engines. So again, I would say, you know, projects
22 wise, another 10 to 15, but testing for probably
23 hundreds.

24 Q. Okay.

1 And I understand your current position is ---
2 is listed on your CV from 2000 to present is --- is an
3 independent consultant.

4 Is that correct?

5 A. Yes. I left just about the turn of the
6 millennium, and I've been an independent consultant for
7 the last 25 years.

8 Q. And can you describe your focus as an
9 independent consultant?

10 A. The --- I have, as an independent consultant, I
11 have my own clients. And I put them into three buckets.
12 I've been asked this question before. I have clients who
13 are what I would call private sector or industrial
14 clients, much like I had when I was at Parsons. They
15 can, they're small, they're sometimes, they're big.
16 These are consulting assignments. They last from weeks
17 to months to sometimes years. So they currently, for
18 example, over the time period they've had, I've had
19 clients in refineries. I've had clients in aerospace
20 companies, in chemical distribution companies, all kinds
21 of private sector --- and also land developers.

22 Then I have work that I've done consulting and
23 expert work for government entities, including federal
24 EPA and US Department of Justice for almost all of the 25

1 years. Some matters dealing with that. Several state
2 agencies, local air pollution control agencies, state AG
3 offices, for example. Some on consulting matters, some
4 on expert either enforcement matters or other expert
5 matters. And then the third bucket is what I would call
6 non-governmental organizations. You know, what you would
7 think of as, you know, community groups or larger
8 environmental organizations like, you know, Sierra Club
9 or Justice or NRDC or EDF, and also community groups.

10 I do technical work for all of my clients. And
11 that mix, while it has varied over the years, I've had
12 clients and continue to have clients in all three sort of
13 groupings in my independent last 25 years.

14 Q. Okay.

15 And can you highlight for the Board some of the
16 work you've done in your current role as an independent
17 consultant that --- that involved air pollutant
18 emissions, and if possible, air pollutant emissions from
19 gas plants?

20 A. So a lot of the gas plant work in the last,
21 let's say 25 years. But it has shifted over time. In
22 the beginning, meaning let's say about 15 years ago, gas
23 was becoming a bigger and bigger fuel for power
24 generation. Mainly driven by shale gas and the discovery

1 of shale gas and the discovery of shales, so different
2 types in different parts of the country, in Texas, in
3 Pennsylvania, in Ohio, and other parts. So gas was
4 becoming a bigger part of our power generation mix.

5 So several projects dealing with the emissions
6 from gas turbines, much like at issue here, gas turbines
7 are manufactured probably more commonly --- there are
8 probably about 100 of them in the world, but about 15 or
9 20 active in the US. Smaller scale, you know, Calpine,
10 Solar to the big three for the gas. Our industry for
11 power, which is GE, Siemens, and Mitsubishi. Turbines of
12 different sizes, frame turbines, air derivative turbines,
13 different designs used to generate power. Simple cycle
14 turbines which are the kind of turbines that will be used
15 here. Or more cogeneration or combined cycle turbines
16 with the steam turbine attached to a combustion turbine,
17 all different configurations. So that was a lot of the
18 work, let's say about 15 years ago, with more shale gas
19 and the availability of that shale derived natural gas.

20 In the last five years or so, driven primarily
21 by, well maybe five to seven years. It began with sort
22 of the bitcoin, crypto, but then later on with AI and
23 with data centers. The use of turbines more for
24 industrial loads where either for crypto mining or for

1 data center powering with a grid component or even just
2 captive to solely supply that load.

3 Broadly two types of power plants, either
4 turbine fired or industrial engines, internal combustion
5 engine fired gas plants. So those have been more active
6 in the last, if you say five to seven years. I've done
7 permit reviews for environmental agencies similar to here
8 looking at state issued air permits. I have in a few
9 instances done enforcement type of inquiries from my
10 other governmental clients. A lot of issues dealing with
11 not just quantifying emissions or assessing emissions,
12 but also the implications of those emissions. A lot of
13 my work has been regulatory.

14 This whole issue that has come up, I've been
15 listening in this morning about minor sources, major
16 sources, synthetic minors, area sources, classification
17 of sources of different regulatory programs that might
18 attach to them. And then a lot of modeling and
19 dispersion impact analysis. Not just for --- for the
20 type of issues like visibility and haze. I've done a lot
21 of work in regional haze issues for my NGO clients, but
22 also for criteria pollutants like nitrogen oxides or
23 ozone that is formed secondary from those particulate
24 matter and then air toxics which are more local.

1 Formaldehyde has been mentioned here. All of those
2 aspects and then monitoring and recordkeeping.

3 Q. Thank you. And so would you say your education
4 and experience has given you a detailed understanding of
5 the --- the turbines that are used to run gas fired power
6 plants?

7 A. Yes. I'm very familiar with the turbines and
8 the technologies in the current generation of turbines
9 that are used to generate that power and how they do
10 that. Yes.

11 Q. And would you say that your education and
12 experience has given you the opportunity to understand
13 and quantify how emissions are produced by --- by those
14 turbines?

15 A. Yes, and that is an extremely critical part of
16 this, and that has great bearing on this. When you burn
17 a fuel like gas, and as has been mentioned here, and I've
18 heard this been mentioned as a gas power plant, but it is
19 absolutely accurate what the mayor said earlier, which is
20 a substantial amount of the emissions might come from
21 diesel as a backup fuel or even as a choice of fuel,
22 depending on pricing and economics.

23 The --- in any case, when you burn a fuel in a
24 gas fired or a diesel fired power plant, these are

1 internal combustion engines. So this is a little
2 different than burning a fuel like coal or even gas in a
3 boiler in a steam generator. Those are external
4 combustion, meaning the combustion time takes one to two,
5 sometimes three seconds. I know that sounds short, but
6 in the combustion world that's a long time.

7 In contrast, in turbines, the combustion has to
8 happen on the order of tens to maybe at most multiples of
9 tens of milliseconds. And that is a fast process, much
10 like in your car. The combustion time is very short
11 because of the internal combustion engines.

12 As a result, the formation of pollutants from
13 the combustion can vary substantially based on many
14 factors. You have a fairly short time in which to begin
15 and complete combustion to generate the momentum in this
16 case that will drive the work that is generated, which is
17 the. So the combustion actually creates the hot gases
18 that then drive the turbine, which creates the mechanical
19 work, which then drives the generator, which creates the
20 electrical power. The combustion has to happen very
21 quickly. Fuel comes in, it's burned very quickly. These
22 are all, current generation turbines are lean premix
23 turbines on the gas side. And the load and the fuel
24 composition and the ambient air and its condition, all of

1 that will dictate how pollutants are formed.

2 One crucial part that is maybe missed here is
3 to recognize that not all pollutants are formed.

4 Q. And Dr. Sahu, we'll get into your testimony in
5 a moment, but this --- this understanding of power
6 plants, you know, I'm not asking necessarily to explain
7 now how they operate, but would you explain how your work
8 experience has --- has educated you to become an expert?

9 A. Sorry, I misunderstood my question. Your
10 question? Happy to do that. Assessing air pollutants or
11 their emissions is the heart of our entire understanding
12 of air pollution regulation and everything that we do in
13 air pollution. It all begins with understanding how
14 emissions are created and how emissions are therefore
15 emitted. So for every single air pollution project, if
16 you will, and I've done, I've dealt with hundreds of them
17 throughout my now 35 years. Understanding how those
18 emissions are created is at the heart of the. It begins
19 there.

20 Because without understanding that, you don't
21 know how a source should be classified from a regulatory
22 standpoint. And how those pollutants that are emitted
23 will then behave in the atmosphere. It's called their
24 fate and transport. It's been called modeling here,

1 their fate and transport. Or how their impacts will then
2 be felt, whether it's on human health, on the
3 environment, on disability. So the understanding in
4 which is ---.

5 ATTORNEY YAUSSY: We're going to object.
6 I mean he's testifying now. We're really looking at ---
7 at whether he's qualified to offer that testimony.

8 ATTORNEY BECHER: And --- and let me.

9 BY ATTORNEY BECHER:

10 Q. So you had said you had, I think, hundreds of
11 opportunities to evaluate and understand how this
12 combustion happens and how these operations affect
13 emissions.

14 Is that correct?

15 A. Yes.

16 Q. Okay.

17 And similarly, has your experience allowed you
18 to gain an expert understanding of pollution controls
19 that are used for these devices?

20 A. Yes. I mentioned earlier, even just getting
21 out of school, I was involved in pollution control
22 designs very similar to what I proposed here in this
23 particular matter. But yes, generally speaking, almost
24 all of our pollution sources that are permitted today in

1 the last several decades have some type of pollution
2 control. Very few are emitted unabated, if you will,
3 directly. Some are, but not always. But ocean controls
4 are part of the, if you will, the modification of the
5 pollution that is generated before it's emitted to the
6 atmosphere. So that is part of the emission analysis is
7 the pollution control and how that behaves almost on all
8 of these projects.

9 Q. And we're closing in on the end. And just
10 again, to focus on your qualifications, just will you
11 briefly, in a few sentences, describe to me generally
12 what you were asked to do for purposes of the current
13 appeal?

14 A. Well, I think I was asked to look at the record
15 here, and particularly whether the portions that had been
16 redacted would affect how one might analyze the --- the
17 project. In other words, how the redactions affected or
18 provided sufficient or insufficient information to allow
19 the DEP and to allow, certainly the public to know how
20 the plant would create its emissions and how it would be,
21 in fact, in compliance with its stated minor source or
22 synthetic minor source classification. In other words,
23 that was one.

24 The other is to the extent the data was

1 available and unredacted, how those potential emissions
2 that had been stated in the application were sufficient
3 or correct to make the plant operate as a synthetic minor
4 source. I understand that it is the choice of the
5 applicant to call itself a synthetic minor source.
6 That's a preference, that's a representation. So I was
7 asked to look at, well, can this in fact be verifiably
8 run and operate as a synthetic minor source? Not just
9 saying that we are, but can you actually demonstrate
10 that? So that aspect. And that verification, of course,
11 relies on how the permit accounts for things like testing
12 and monitoring.

13 Q. Thank you. And --- and again, just briefly,
14 can you --- can you describe for me how your past
15 education and work experience allows you to do that?

16 A. Well, each of the past projects in air
17 pollution begins with air pollution emissions analysis,
18 the inventory, if you will. What is emitted, in what
19 quantities, and how those are estimated. That is really
20 the heart of the emission inventory quantification. And
21 so here, a lot of that type of work is at the heart of
22 every air pollution project. So all of the hundreds of
23 air pollution projects that I've done have involved that
24 starting point.

1 So that gives me the ability to begin in the
2 same place here, to answer the questions that I was
3 asked. And that's when the redactions did not enable me
4 to do that, and therefore I had to stop and sort of ask
5 questions that, you know, how --- how is one supposed to,
6 as a member of the public, get beyond that starting
7 block?

8 Q. Thank you.

9 ATTORNEY BECHER: And I would offer at
10 this time ---.

11 THE WITNESS: And if I can add one more?
12 I would also say that it is somewhat --- it is unique,
13 quite frankly, as I've been thinking and looking at it.
14 In the last five years, I've looked at several permits
15 from this type of application, whether it's crypto mining
16 or data centers. I cannot remember an instance, and some
17 very controversial just from several standpoints.

18 ATTORNEY DRIVER: I want to, I just ---
19 I've got to jump in here real quick. I think we're
20 getting into something that can be classified as
21 testimony and we've got a protective order in place for
22 that.

23 ATTORNEY BECHER: Yes.

24 THE WITNESS: Thank you for reminding me.

1 I was simply going to say that the redactions were not
2 part of those applications, Mr. Driver.

3 CHAIR: Okay, go ahead.

4 ATTORNEY BECHER: Thank you. I'd like to
5 offer Dr. Sahu, who is an expert in the combustion and
6 generation of air pollutants, the control of air
7 pollutants, and the calculation of emissions.

8 ATTORNEY DRIVER: And I've --- I've got a
9 few questions, Mr. Chairman.

10 CHAIR: Wait, wait. Hang on.

11 ATTORNEY DRIVER: First of all, Dr. Sahu
12 --- go ahead.

13 CHAIR: Hold on, stop. Wait, wait.

14 ATTORNEY DRIVER: I'm sorry.

15 CHAIR: Wait one minute. Repeat again
16 what you're asking.

17 ATTORNEY BECHER: Yes. Qualification as
18 an expert witness in the combustion of fuels generating
19 air pollutants, air pollution emissions, and the
20 calculation of potential air pollution emissions.

21 CHAIR: Okay.

22 Now Mr. Driver, go ahead.

23 ---

24 EXAMINATION ON QUALIFICATIONS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

BY ATTORNEY DRIVER:

Q. Okay.

Dr. Sahu, I'm going to ask you some questions that I'm sure as an expert you've been asked before. What is your hourly rate?

A. My hourly rate right now is \$300 an hour. I adjust that periodically. But for 2025, for this work.

Q. And I do not want to know your total income, but what percentage of your income would you estimate that you derive from expert testimony or litigation systems?

A. I have been asked that question, you're right. It does vary over time. In other words, depending on the time period, it has ranged from a low of about 20 percent to a high of probably even 75 percent depending on if there are active matters going to trial and so on.

Q. Are you familiar specifically with the West Virginia state rules regarding determination of confidential business information?

A. I'm not a lawyer, so I couldn't speak to the legal aspects of that.

Q. Okay.

I was just --- I just wanted to know if you

1 were familiar with the criteria for whether or not
2 something is properly classified as CBI. It sounds like
3 you're telling me no.

4 Is that correct?

5 A. Let me clarify. I --- I know what is in the
6 record. In other words, the representation made by
7 Fundamental Data and how the DAQ has responded to that.
8 I'm familiar with that, but not beyond that meaning
9 independently doing any legal research is what I meant to
10 say.

11 Q. Okay.

12 Thank you. And are you familiar with the rules
13 for the air permitting review process under the West
14 Virginia rule specifically?

15 A. That I have. I've done several projects
16 helping in West Virginia, and so I'm familiar with that.

17 ATTORNEY DRIVER: And Mr. Chairman, to the
18 extent that Mister --- gosh, I'm sorry. Dr. Sahu would
19 offer testimony about whether or not the CBI
20 determination was proper, that I will object to. I do
21 not object to him testifying as to the specific expertise
22 that was offered by Counsel just now.

23 ATTORNEY BECHER: And I would respond to
24 that objection. I think that part of the confidential

1 business information is whether these. Whether this
2 redacted data goes to the frequency, type, amounts,
3 concentration of pollutants. I --- I think he can
4 testify about the redactions and what you can and cannot
5 calculate based on those redactions. I'm not going to
6 ask any legal opinions, but I think he can form the
7 factual basis for my legal arguments on those issues.

8 CHAIR: I think we can address those when
9 we get to that point of testimony. And you could raise
10 your objection at that point, Mr. Driver, if it doesn't
11 fit.

12 Okay?

13 ATTORNEY DRIVER: Okay.

14 And holding that reservation aside, I have
15 no objection to Dr. Sahu's technical qualifications as an
16 expert.

17 CHAIR: Intervener, Mr. Walls?

18 ATTORNEY YAUSSY: I'll --- I'll be doing
19 it.

20 CHAIR: You're going to do this? Okay.

21 ATTORNEY YAUSSY: They're going to let me
22 talk now.

23 ---

24 EXAMINATION ON QUALIFICATIONS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

BY ATTORNEY YAUSSY:

Q. Dr. Sahu.

A. Hi. I can see other different people here. So I can't --- got to start getting my bearings. It's a little hard to see everybody, but I can see you. Yes.

Q. Doctor, you got a PhD in coal combustion technology.

Correct?

A. No, that was the subject matter of my PhD. The PhD was granted in mechanical engineering.

Q. Okay. Okay.

It looks like from your CV that you spent a lot of time working in coal combustion early on in your career.

Is that fair?

A. I did. That was my PhD work. I published in that in the beginning when I left grad --- grad school. That's correct.

Q. How much? In looking through your --- your record here, your teaching experience appears to have largely ended around 1996 or so, except for some later courses with, at Caltech in 2005, Loyola in 2006, and some at UCLA in 2009.

1 A. Yeah, they began in 1992 at Loyola Marymount
2 and UC Riverside. And I think the last courses I taught
3 were in 2011. It was about --- about two decades, yes.

4 Q. Most of the time was front loaded on that as
5 far as the years though, correct? I mean those were,
6 tend to be?

7 A. I was doing more teaching in the beginning, but
8 it continued throughout. There were, you know, I taught
9 at UCLA and USC. Sometimes overlapping, sometimes
10 continuously. I also mentioned other schools, Cal State
11 Fullerton. But the --- the number of courses I taught at
12 any given time may have fluctuated. But they all happen
13 in that two-decade time period.

14 Q. As I look at the publications, you say it's a
15 partial list.

16 A. Yes.

17 Q. But of those listed since 1994, you've only had
18 two publications since --- since 2001. Is that --- be
19 about right?

20 A. Yes, and I can clarify that. I stopped
21 publishing once I realized I didn't want to go to
22 academia. You know, publishing is an important part of
23 being an academic. I wanted to go to consulting, and so
24 I did not publish --- I've made lots of presentations.

1 They don't rise to the level of peer reviewed
2 publications. So I call that a partial list, and I don't
3 list them. But I, a lot of my work is subject to, you
4 know, clients who have different matters and doesn't
5 allow me enough time to go out and write papers like I
6 used to or I could if I was in academia. So it's a
7 partial list. There are some publications after that,
8 but not what I would have had if I stayed in academia.

9 Q. You mentioned presentations. It looks like
10 according to your resume, your CV here, there's been no
11 presentations after 1994. Would that be about right?

12 A. I just don't maintain the record. That's why I
13 call it a partial list. I just don't keep up that.

14 Q. The reason for the questions, Doctor, is you
15 indicated to Mr. Driver that 25 to 75 percent of your
16 time was spent up in testimony, I --- I'm assuming as an
17 advocate for one side or another on litigation or
18 administrative proceedings?

19 A. Yes, it is. And on that, my resume is pretty
20 thorough. If you look at the list of the expert matters,
21 I do maintain that. And that's in the regime. That's
22 correct. So the different matters I worked on are listed
23 there.

24 Q. It's extremely thorough. And it appears that

1 at least, you know, 75 percent of your time was spent as
2 an advocate for one side or the other and litigation or
3 administrative proceedings based on what I see here.
4 That sounds like that more, goes more to 75 percent than
5 25 percent?

6 A. Okay.

7 I --- I --- I'm not even facetious about that,
8 but yes, in every matter that I've represented somebody,
9 it's been one side or the other, not both at the same
10 time. But --- but I can assure you that yes, but it has
11 within that a variety of different clients. Some
12 governmental clients, some NGOs that I mentioned, some
13 industrial clients. That's --- that's fair.

14 Q. Fair. Fair enough. You've been paid to
15 advocate?

16 A. Well, that's how I make my living. And I --- I
17 have done some pro bono work. That's, they're probably
18 listed there, but what I can.

19 Q. Okay.

20 Doctor, looking through this list of litigation
21 support, I only saw one place where there was anything
22 mentioned about gas turbines. Have you testified or have
23 any testimony with regard to gas turbines?

24 A. No, there have been less litigation that I've

1 been involved in on gas turbine where that was the issue.
2 A lot of that has been regulatory or permitting work,
3 consulting work, not expert work in gas turbines.

4 Q. When you talk about having been involved in
5 gas, gas power generation, has all that been turbines or
6 some of that been direct heat the same way you would have
7 direct heat with coal?

8 A. It's been both. Some have been, I think I'll
9 go with the direct heat, which is still combustion. But
10 the distinction is they're not just, they're more steam
11 turbines. In other words, we generate the power using a
12 steam turbine. It's a different thermodynamic cycle, but
13 off --- like I mentioned in the last decade, a lot of
14 internal combustion, or gas being, turbines, being part
15 of that, combustion turbines is how --- how I would call
16 them, aeroderivative frame.

17 But also some engines. Engines are often used,
18 internal combustion engines, rich burn, lean burn
19 engines. So it's a mix of those.

20 Q. Okay.

21 So you're talking about, so you'd have some
22 experience with direct burn, and you'd have some with
23 internal combustion, reciprocating engines, and some
24 turbines?

1 A. Yes.

2 Q. How much of your time overall, all of your, the
3 work you've done in the past ten years has been on gas
4 turbine engines or something directly related to that?

5 A. That's a very hard. I haven't thought of it
6 that --- that way. I mean I have projects almost every
7 year on this. But as to the time in relation to
8 everything else, I --- I couldn't tell you. I really,
9 you know, there are sometimes, you know, for a month
10 that's all I'm doing. But when I look at it over ten
11 years, am I looking at gas driven work every day?

12 Probably not, but it is projects that come and go. I
13 can't tell you a percentage offhand. I would be wrong.

14 Q. But you'd agree with me that at least in your
15 CV there's not much reflection of gas turbine works?

16 A. Well, that's a reflection of how the CV's
17 written. The CV is written to be thorough with my expert
18 work because that's required in court. But the CV does
19 not list every consulting matter that I work on. So in
20 other words, some CVs are written with every consulting
21 assignment or. I --- I don't have that listed. That
22 would be many, many more pages. So that's why it looks
23 lopsided as I'm talking to those as opposed to listing
24 every consulting, non-litigation matter that I've worked

1 on.

2 Q. Can I assume that your experience as far as
3 consulting on gas turbines is, would be the same amount
4 of time as you spent testifying about gas turbines based
5 on your CV? Just trying to ---.

6 A. No, that --- no, that's incorrect. I said a
7 lot of that has been permit reviews and regulatory work
8 without getting into litigation. So that would not be
9 with turbines.

10 Q. But you couldn't give me an idea of the amount
11 of time?

12 A. Well, I --- I would say if you had to, if ---
13 I'm just guessing here because that's an educated guess.
14 Over the last ten years, probably about 20 to 30
15 different projects on gas turbines, not, you know,
16 reciprocating engines or the direct heat type of work.

17 Q. Okay.

18 Have you worked with the gas turbine
19 manufacturers themselves? Have you consulted with them?

20 A. I have not consulted directly for the, what I
21 call the three major big three, so Mitsubishi, Siemens,
22 and GE. I have interacted with them, otherwise I've not
23 worked for them. Earlier on, when I was with Parsons, we
24 had clients who were turbine manufacturers, but there was

1 not --- when I was independent, I was part of Parsons.

2 Q. You mentioned in talking with --- with your
3 attorney that you're familiar with synthetic minor
4 permitting?

5 A. Yes.

6 Q. And because you had questions about the
7 synthetic minor permit, which we're going to get into,
8 but I'm just trying to find out whether you're saying
9 that --- that you couldn't qualify a turbine or a set of
10 turbines as a synthetic minor?

11 A. No, what I'm saying is a project, it's not just
12 a turbine. All the air emission sources in a project,
13 depending on their potential to emit, you can either have
14 three possibilities, right Counsel? One is a true minor.
15 That means you're below the major source thresholds. And
16 those are thresholds in plural because they're different
17 for criteria and hazardous air pollutants. Or you're a
18 major source, which is clearly greater than the threshold
19 for one or more. Or you are the latter, meaning you're a
20 major source, but you choose to take enforceable
21 conditions to become a synthetic minor even though you
22 would be a major source. So that's the classification.

23 Q. You, as I understood from what you were saying
24 to Mr. Becher, you said that the redacted data in this

1 case is needed to determine compliance with the permit.

2 Did I understand that?

3 A. In part, but it's also the fundamental
4 understanding how those emissions that are summarized in
5 the non-redacted portions came to because those rest on
6 assumptions and calculations. And there were, without
7 that, they're just numbers on a page, literally.

8 Q. Okay.

9 So you're ---.

10 A. So --- no, no go ahead. I didn't mean to
11 interrupt you.

12 Q. No, no, please, go ahead.

13 ATTORNEY BECHER: And I'm going to object
14 to the ---.

15 CHAIR: No, let's stop here because I get,
16 we're --- we're starting to get into evidence and
17 testimony. Let's keep it to the credentials and we can
18 bring it up later.

19 ATTORNEY YAUSSY: It might shortcut this.
20 I under, if I could clarify with --- with opposing
21 counsel that Dr. Sahu's not being offered as any kind of
22 expert with regard to whether the. Whether the CBI was
23 properly granted and just whether it's necessary in order
24 to determine compliance with the permit.

1 ATTORNEY BECHER: He --- he is not going
2 to offer legal conclusions about the CBI. He will offer
3 factual testimony regarding what you can and cannot
4 determine from the redacted permit.

5 ATTORNEY YAUSSY: Okay.

6 I'll accept that.

7 CHAIR: All right, so.

8 ATTORNEY GRAY: Make sure Scott's okay
9 with that.

10 CHAIR: Scott, are you okay with that?

11 ATTORNEY DRIVER: I am, Mr. Chairman.

12 CHAIR: All right.

13 ATTORNEY YAUSSY: So we're going to object
14 to his qualification as an expert in turbines since he
15 doesn't have that extensive of an experience working with
16 them. But as far as his ability to calculate air
17 pollutant emissions generally, he seems to establish
18 that. But not for turbines in particular.

19 CHAIR: But that was not part of what he
20 would be certified.

21 ATTORNEY BECHER: I --- I believe that the
22 familiarity with turbines is part of that. His primary
23 role is going to be to explain the air emissions
24 calculations coming from these turbines.

1 CHAIR: Okay.

2 So again, repeat what you --- the three
3 things you wanted.

4 ATTORNEY BECHER: I --- I would like him,
5 sorry I --- I --- I should have written these down as I
6 was speaking. An expert in the combustion and generation
7 of air pollutants.

8 CHAIR: Stop there.

9 ATTORNEY BECHER: The ---.

10 CHAIR: Is there a problem with that?
11 Wait, wait a minute. Is that terminology all right with
12 you?

13 ATTORNEY YAUSSY: Well, I mean that's
14 incredibly broad. I'm not sure he's established an
15 expertise as far as turbine emissions.

16 ATTORNEY BECHER: Okay.

17 May I Redirect?

18 CHAIR: Yeah.

19 ---

20 FURTHER EXAMINATION ON QUALIFICATIONS

21 ---

22 BY ATTORNEY BECHER:

23 Q. Okay.

24 Dr. Sahu, can you give me an estimate of the

1 number of projects you've worked on calculating air
2 pollutants from turbines as we're --- we're speaking
3 about? Gas --- gas turbines.

4 A. Probably 50 to 100.

5 Q. Okay.

6 Over what period of time?

7 A. If you look at Parsons plus my own work.

8 Q. Okay.

9 Fair --- fair enough. So that's going back to
10 your pre-independent consultant experience?

11 A. Yes.

12 Q. And --- and you say ---.

13 A. Well, for independent, but I was still
14 consulting, but with a different entity than I'm on my
15 own. But turbine emissions and how combustion happens in
16 them has been part of that probably about 50 to 100
17 times.

18 Q. And you worked specifically with turbines when
19 you were at Parsons?

20 A. Yes, I mentioned that we had plan clients who
21 were turbine manufacturers, who were projects that were
22 gas turbine. They were mainly for power at that point,
23 for grid power. But then later on the fuel mixes
24 changed, and there was some gas back then overseas, not

1 so much in the US. US was mostly coal. But in my own
2 work, almost all of it has been gas since, for about 15
3 years.

4 Q. Okay.

5 Let me ask too, is part of your consulting
6 experience writing and drafting comments on --- on
7 regulatory issues?

8 A. Yes.

9 Q. Okay.

10 A. I've done a lot of that.

11 Q. Have any of those recently involved gas
12 turbines and emissions from gas turbines?

13 A. Yes, they have.

14 Q. Can you give an example?

15 A. And that also involved commenting on rulemaking
16 specifically with gas turbine new source performance
17 regulations, the NESHAP regulations that EPA has
18 proposed. All of that.

19 Q. Okay.

20 So you've been involved in --- in those NESHAP
21 source review regulations, evaluating and commenting on
22 those for clients?

23 A. Yes, and directly interacting with EPA staff
24 who are rule writers, including on Zoom calls and

1 explaining technical issues relating to that as part of
2 public comment. All of that.

3 Q. And does that require you to have expertise and
4 knowledge related to natural gas turbines?

5 A. Yes, very much so. I wouldn't be credible to
6 provide deep technical comments on NOX emissions,
7 formaldehyde emissions, particulate emissions without
8 that fundamental understanding, including how they
9 modified bio pollution controls, all of that.

10 Q. Thank you.

11 CHAIR: Okay.

12 I think that, as you said, the question
13 was a little broad, but that's all right. What we're
14 going to do is allow you to have him as an expert witness
15 on the three issues you raised with the idea that if he
16 gets into things that are too technical on the gas
17 turbines, you can raise an objection at that point.

18 ATTORNEY YAUSSY: Okay.

19 Thank you. Thank you, Mr. Chairman.

20 CHAIR: All right.

21 So we'll certify him as an expert witness
22 in those three areas there.

23 ATTORNEY BECHER: Thank you.

24 CHAIR: Okay.

1 And with that, we're at noon, so we're
2 going to take a break for --- for lunch.

3 ATTORNEY GRAY: One quick. At what point
4 will we be getting into the confidential information?
5 Are you going to start out with that?

6 ATTORNEY BECHER: No.

7 ATTORNEY GRAY: So I'm just trying to
8 figure out at some point once we reconvene, we're going
9 to have to ask the public to leave the room. I'm trying
10 to, for purposes of the public and the Board, trying to
11 get a feel for how fast our timetable that might work.

12 ATTORNEY BECHER: The, I think the most
13 accurate I can give you is based on the proportion of my
14 script. It was 14 pages long. Two pages of that were
15 voir dire. I believe the next. Well up to page ten, so
16 eight pages is going to be based on unredacted. And then
17 four and a half to five pages based on the ---.

18 ATTORNEY GRAY: So maybe an hour after we
19 reconvene before we get into the confidential part?

20 ATTORNEY BECHER: That's --- that's a fair
21 estimate.

22 ATTORNEY GRAY: I think we can.

23 ATTORNEY DRIVER: And John and Mr.
24 Chairman, just because of the nature of expert testimony,

1 I worry that there may be some commingling of redacted
2 and unredacted data. If that comes up, I will probably
3 jump in. I wouldn't call it an objection, but probably a
4 reminder that we have the protected order. I --- I worry
5 just because it's a commingled issue and we may --- we
6 may get out from between the guardrails. I'll jump in
7 whenever I think that's happening.

8 ATTORNEY GRAY: Well, I'm just going to
9 ask the lawyers, including myself and others, to be
10 mindful. And as soon as anybody feels like we're
11 treading on thin ice to slow or stop the process down in
12 order to make sure we don't violate the protective order.

13 ATTORNEY YAUSSY: Thank you.

14 ATTORNEY BECHER: Thank you.

15 CHAIR: All right.

16 So let's take a break, break for lunch.
17 Half --- half an hour work for you all? Okay, half an
18 hour so we'll reconvene at 12:40.

19 ---

20 (WHEREUPON, A SHORT BREAK WAS TAKEN DURING THE
21 PROCEEDING.)

22 ---

23 COURT REPORTER: Court Reporter. Sorry
24 for the technical difficulties. Do you just want the

1 same transcript order as the first part of the hearing on
2 the 5th?

3 ATTORNEY DRIVER: Yes, please.

4 COURT REPORTER: Thank you, thank you.

5 ---

6 (WHEREUPON, A SHORT BREAK WAS TAKEN DURING THE
7 PROCEEDING.)

8 ---

9 CHAIR: All right.

10 I think all the parties are back now, so
11 we'll go ahead and reconvene. Mr. Becher, you have your
12 witness. I hope --- I'm hoping he's still there.

13 ATTORNEY BECHER: Dr. Sahu, are you still
14 present?

15 THE WITNESS: I am. Can you hear me?

16 ATTORNEY BECHER: Yes, thank you. Before
17 we get to that, I --- I realized over break that I had
18 neglected to seek to introduce Dr. Sahu's resume as
19 Appellant's Exhibit 1.

20 ---

21 (Whereupon, Appellant Exhibit 1, Sahu
22 Curriculum Vitae, was marked for
23 identification.)

24 ---

1 CHAIR: All right.

2 We'll enter that then as Exhibit 1.

3 ---

4 (Whereupon, Appellant Exhibit 1, Sahu
5 Curriculum Vitae, was admitted.)

6 ---

7 DIRECT EXAMINATION

8 ---

9 BY ATTORNEY BECHER:

10 Q. And Dr. Sahu, do you have a copy of the
11 certified record in front of you? I'd specifically like
12 to ask you to go to the redacted Section N of the permit
13 application, which I believe begins on page 55.

14 A. I have it electronically. Let me go there.
15 Yes, I am there.

16 Q. All right.

17 First, I'd like you to look through this
18 document and tell me if this is something you've
19 carefully reviewed in preparation for your testimony
20 today.

21 ATTORNEY DRIVER: Mr. Chairman, is the
22 courtroom cleared for this part?

23 CHAIR: No.

24 ATTORNEY BECHER: This is the redacted

1 portion.

2 ATTORNEY DRIVER: Okay.

3 I'm sorry, I thought you said unredacted
4 and immediately flipped out. Sorry.

5 CHAIR: That's all right, you're allowed.

6 ATTORNEY BECHER: And I hate to ask this,
7 but is there any way I can get Dr. Sahu's view up on ---
8 on the screen?

9 MS. DERAIMO: Oh, yeah. Sorry. I just
10 pinned it for her. Thank you for pointing that out.
11 When he talks, he will come up.

12 ATTORNEY BECHER: Great.

13 BY ATTORNEY BECHER:

14 Q. So Dr. Sahu, is this something you --- you've
15 reviewed closely in preparation for your testimony?

16 A. I did.

17 Q. Okay.

18 And is it your understanding this was part of
19 the application that was submitted with the, well, this
20 is part of the permit application submitted for the
21 permit of this facility?

22 A. Correct.

23 Q. Okay.

24 And I'd like to go through some of the tables

1 in this exhibit. Can you first turn to page 56?

2 A. Sure.

3 Q. Okay.

4 And you'll see, I believe, in the table on the
5 left hand column, pollutants both hourly and annual?

6 A. Yes. There are three tables on the page. The
7 first is just identifying information, including the
8 consultants that prepared this. And this is for when the
9 fuel is natural gas, as is stated at the very top. And
10 then yes, there are two tables below with the same list
11 of pollutants. One, the upper table for the hourly
12 emissions, and then the lower one for the annual tons per
13 year emissions. That's correct.

14 Q. Okay.

15 And then beside that, there is a big, black box
16 that --- that was redacted that we cannot see?

17 A. Yes. The black is the redactions in both
18 tables, both the second and third tables.

19 Q. And then we see a column labeled total
20 turbines.

21 Do you see that?

22 A. You cut out there. You said total turbine?
23 Yes, I see that.

24 Q. Yes. And what, what in your opinion, or what

1 in your understanding, do these numbers represent?

2 A. Well, in the upper table, meaning the two
3 redacted tables, the table at the top, that one says
4 total turbine emissions. Meant that however many
5 turbines there were, this is the sum of the hourly
6 emissions from those turbines.

7 Q. Okay.

8 And below it, the same for annual emissions,
9 the sum of all the turbines?

10 A. Yes, those are the annual, but there is now a
11 restricted term there. But that in some fashion has been
12 restricted. And then it is the total of those. There is
13 some designation of the, you know, the title there, if
14 you will, of the --- but that's been redacted. But I'm
15 interpreting that as the. However they were restricted
16 annually, this is the sum of all the turbines that are
17 present.

18 Q. Okay.

19 And is --- is it your understanding? Well, we
20 can take a look at the footnotes if that's helpful. That
21 these represent a certain operational state of the plant?

22 A. Yes. The second table, the last table here
23 with the annual numbers, there's a --- there's a column
24 to the right of the total restricted turbine, which is

1 the turbine startup shutdown emissions. And that only
2 has entries for two pollutants, just nitrogen oxides, or
3 Nox, and carbon monoxide. And it has blank for all the
4 other pollutants. But this --- that raised a whole host
5 of questions. But --- and it wasn't clear, you know, if
6 that is the total for all startup shutdowns. Just a
7 number of questions. I will mention that at this stage.

8 Q. Okay.

9 A. But yes, the only three footnotes that clarify
10 this entire page are at the bottom.

11 Q. And just to clarify. So then this table, is
12 this for operation with --- with either gas or diesel,
13 one or the other?

14 A. This is, as I mentioned, the very top. This is
15 just for gas. This page is just for gas.

16 Q. And so here we have the --- the total turbine
17 emissions per hour. Would you agree? We cannot see the
18 number of turbines that that includes?

19 A. I would agree with that.

20 Q. And then for the annual emissions figures, we
21 just have the total projected emissions for all of the
22 turbines running at a steady state in that first column
23 after the black box?

24 A. That's the 94.43 and numbers that are populated

1 below that. But then the startup shutdown has an
2 additional, as I mentioned, only emissions quantified or
3 listed for two pollutants. Those are listed in the
4 column next to it. The 4.54 for NOx is the non-steady
5 state because shutdown is not steady state.

6 Q. Okay.

7 And this table doesn't provide us any
8 information about how that startup shutdown number is
9 calculated?

10 A. It does not. What this table does confirm
11 though is the sum of the two off to the right is 98.98
12 tons for Knox, which I think as far testimony has
13 elicited, is literally a shade below the 100 ton per year
14 major source threshold. And I have some concerns about
15 verification of that and we can get into that later.

16 Q. Okay.

17 Great. And if you flip to the next page, page
18 57.

19 A. Yes.

20 Q. We see similar data for diesel?

21 A. Yes. Here the fuel is diesel at the very top
22 and similar structure for the most part as the previous
23 table. Correct.

24 Q. And again, we don't see ---?

1 A. And here too, I'm sorry. Here too for the
2 startup shutdown, even with diesel, there is just
3 quantification for two pollutants and blanks for all the
4 other ones in the annual table.

5 Q. Okay.

6 And again, we --- we don't know anything about
7 the number of turbines here?

8 A. We do not.

9 Q. So we don't know how many turbines are
10 operating to get these --- these total hourly emissions?

11 A. Yes, we don't know how many are being issued on
12 an hourly and more questions on the annual.

13 Q. Okay.

14 And then let's turn to the next page, page 58.

15 A. Fifty-eight (58), yes.

16 Q. Okay.

17 And here there are a number of tables. If we
18 look at the second one, we see again that the number of
19 turbines is redacted?

20 A. Yes, this is supposed to be the detail page for
21 natural gas. In other words, we saw page 56 was sort of
22 the summary page and then there was a summary page for
23 diesel. And now this is the one and only detail page for
24 natural gas as confirmed by the, at the top. And then

1 yes, there are a number of redactions in under the
2 assumptions table, which is the second table on this
3 page. That's correct.

4 Q. And so here we can't tell again how many
5 turbines there are?

6 A. Correct. We cannot.

7 Q. We cannot tell how many startups or shutdowns
8 they're assuming?

9 A. We cannot because that's in the third table,
10 the short table that says startup, shutdown emissions.
11 The per event numbers are blacked out, but there is a
12 total for tons per year. Same numbers that were carried
13 over to the other summary table. But how many there are
14 and the durations of those, none of that is. Can't get
15 any of that detail.

16 Obviously loads have been assumed, you know,
17 how many under what conditions of load and what even
18 startup means, meaning when does startup end and how long
19 startup is envisioned to last and how many there are per
20 year. None of those details can be listed.

21 ATTORNEY YAUSSY: Mr. Becher, my
22 apologies. You're on page 58 of the record?

23 ATTORNEY BECHER: Fifty-eight (58) of the
24 record.

1 ATTORNEY YAUSSY: Okay.

2 THE WITNESS: Number page 58. Yes. It's
3 just off by one for PDF.

4 BY ATTORNEY BECHER:

5 Q. And --- and again, if we look down to the
6 biggest table there, we don't have any information on
7 what any individual turbine would produce in terms of
8 either hourly or annual emissions?

9 A. Correct. That part is redacted. And then the
10 numbers are on the other ones are the same as the summary
11 table.

12 Q. And then if we turn to page 59, we see a
13 similar table for operations under diesel?

14 A. Yes. I should also say there's a table below
15 on this previous page for uncontrolled steady state, but
16 only for two pollutants, for NOx and carbon monoxide.

17 Q. Okay.

18 A. But none of the other pollutants. But yes,
19 then there's a reduction on one of the notes fields and
20 then on the next table similarly for diesel. Correct.

21 Q. Okay.

22 And if --- if you turn to the diesel again, we
23 see again no information on the number of startups and
24 shutdowns?

1 A. Correct. Same for event is blacked out and no
2 details on what that would mean in terms of the details
3 of the startup shutdown crucially for the load as well as
4 for duration.

5 Q. And no information on the number of turbines?

6 A. Correct.

7 Q. And so the only information we have is the
8 cumulative projected emissions if all the turbines are
9 running in a steady state?

10 A. And whatever is defined as steady state.
11 Steady state, from an engineering perspective, nothing in
12 the real world operates at steady state. Literally means
13 operating without any change in time or no fluctuations
14 with time. It's an idealized sort of aspirational goal.
15 But yes, other than simply noting that these emissions
16 might refer to steady state, there's more detail on what
17 steady state means.

18 Q. If I can now have you turn to the --- the
19 permit itself. And I believe that begins on page 485 of
20 the certified record.

21 A. Let me just get there. Yes, I am there.

22 Q. And did you review this --- this permit as part
23 of your preparation for testimony today?

24 A. I did.

1 Q. And I'll have you turn to page 497 of that
2 document under source specific requirements.

3 A. Give me one second. I'm just scrolling
4 through. I have it opened electronically. 497, did you
5 say? Yes. I am there.

6 Q. Okay.

7 And would you agree that this page limits the
8 maximum hourly? And then on the next page we see limits
9 to maximum annual emissions?

10 A. Yes, you're talking about Section 4.1.3. There
11 are two tables, one for natural gas and one for diesel.
12 And that does have the maximum hourly emissions listed
13 there.

14 Q. And if we look at 4.1.4 and 4.1.1.5, we see
15 aggregate annual emissions for natural gas and diesel in
16 4.14 during startup and shutdown?

17 A. Correct. These are the same exact numbers that
18 were in those redacted tables we we're looking at from
19 Section N of the application.

20 Q. Okay.

21 And again, if we go to 4.15, we get the
22 aggregate total emissions from the combination of all the
23 turbines running at steady state?

24 A. Yes. The one difference here being all the

1 turbines on an annual basis running on either mix of
2 fuels.

3 Q. Okay.

4 A. So there are not two separate tables because
5 there will be some in a given year using natural gas and
6 some diesel. The totality of that from either fuel is
7 listed in that table on 4.1.5. Correct.

8 Q. And under 4.15, we see hourly limitations on
9 natural gas operations exclusively?

10 A. Those are the hours only. These are not
11 emissions. The total number of hours under 4.1.5(b) is
12 listed. And similarly, there's a number for the total
13 assumed hours under diesel operations. I will note that
14 neither one of these has any restrictions or notations,
15 but the load, just the total hours.

16 Q. Okay.

17 A. And when I say load, I mean the percent of full
18 design. And I keep harping on that because that has
19 great bearing on emissions.

20 Q. Have you reviewed? If we go to the next two
21 pages, I think we can see the full list. But have you
22 reviewed the monitoring testing requirements for this
23 facility?

24 A. I have.

1 Q. Okay.

2 Is there any direct monitoring required of the
3 actual pollutants being emitted from this plant?

4 A. No. Other than a stack test, there is no
5 continuous or ongoing direct measurement of the mass of
6 emissions, which we, I think has come up before, called
7 continuous emission monitoring. We measure the exhaust
8 gas flow and the concentration of different pollutants.
9 There is not such a requirement in the code.

10 Q. Okay.

11 So how do we tell if or how would --- how would
12 one tell if those hourly or annual limits will be
13 exceeded?

14 A. Well, the short answer is you cannot. And
15 that's the whole problem with this permit. I --- I heard
16 before that what's the big deal? We know we're going to
17 do a test, and we will have a measurement during the test
18 of the hourly emission rate. And then we know the number
19 of hours that we're going to run. You just multiply one
20 by the other and voila, you have your number. It's just
21 arithmetic.

22 It doesn't work that way. Because no matter
23 what test condition you do, it will be done at a certain
24 load. Whether it's 100 percent, 99 percent, 90 percent,

1 you name it. Those emissions, number one, will not be
2 the same from turbine to turbine. I can tell you that,
3 or even by run to run, there's fluctuation. And then
4 they will certainly not tell you what those emissions are
5 for other loads, for other conditions, including startup
6 shutdown. So you --- there's therefore no way to, unless
7 you simply make that assumption that your test done,
8 whenever it's done, will tell you everything there is to
9 know about those hourly emissions, which you can then
10 track based on just tracking the number of hours. It
11 just doesn't work that way. That's the problem.

12 Q. And is that because those calculations, even to
13 know what the total annual emissions would be, or the
14 total cumulative emissions would be are redacted?

15 A. Well, it's two things. That redaction is very
16 important for that. Exactly because you can tell us what
17 sort of conditions are being assumed. Or even what
18 assumptions were made. Really, the redactions would tell
19 us what assumptions were made in developing these
20 calculations and how realistic those are for operating
21 the planet.

22 The bigger problem, including the redaction, is
23 that the permit takes a simplistic view that if you just
24 measure one time or even periodically, very infrequently,

1 the hourly emissions and all you're doing is tracking the
2 fuel consumption or the hours, you automatically, by
3 arithmetic, can show compliance with your annual limits.
4 And those annual limits, at least for NOx, are extremely,
5 have no margin really. They're sort of slightly below
6 100 tons. And so that's the structure or the
7 architecture of the permit. And that's the problem.

8 Q. Let's say, for example, that we have less than
9 the full component of turbines running on diesel for a
10 number of hours.

11 A. Yes.

12 Q. Can you determine if it's less than the total
13 number of turbines, what the emissions would be from ---
14 from those turbines based on the information in the
15 redacted portions of the permit?

16 A. I cannot because I don't know the total number
17 of turbines. So if I have some fraction of that, I have
18 no idea. And --- and going beyond that, I don't know
19 what loads these different turbines will be operating.
20 Because you're going to use diesel for sure during
21 startup. That's already noted. And you'll use some gas
22 during startup, quite frankly. That's noted. But the
23 loads are important. The emissions that are going to
24 come out depend on the load. So without how many which

1 are redacted and on the loads, you cannot tell.

2 Q. And we know that the diesel hours are limited
3 if they operate exclusively on diesel.

4 Correct?

5 A. Yes, there's that 25,000 aggregate hours where
6 diesel can be used and then the 61,000 and change hours
7 when natural gas can be used. Correct.

8 Q. So we've got the hourly limitations. We know
9 the maximum they can use if they're both operating at
10 full capacity under either fuel type independently.

11 Correct?

12 A. Those are the limitations of the hours and,
13 correct.

14 Q. Is there any way to know what the emissions
15 would be if they were operating sometimes on gas,
16 sometimes on diesel with less than full component
17 turbines?

18 A. No, we cannot. Not from the redacted version.
19 Not just for the number of turbines that might run in
20 that configuration is not known, but equally importantly
21 what the loads will be for those turbines. And here I
22 --- I should stress, and I think I've been meaning to do
23 that. Is it is not accurate at all to say that your
24 maximum hourly emissions will only happen at full load,

1 at 100 percent load.

2 Q. Well, let me --- let me let you explain that.
3 Why --- why would you get? Why would you get more
4 pollutants if it's not operating under full load?

5 A. Yes, and that's the crucial part of this
6 assumption here that is wrong. Internal combustion
7 engines, these gas turbines are internal combustion
8 engines. The way the pollutants are formed are
9 different. So NOx is an example of a pollutant, oxides
10 of nitrogen, which are formed typically at high
11 temperature in the presence of oxygen and nitrogen. You
12 will get higher and higher NOx levels as the load
13 increases. So for NOx, it's a reasonable assumption to
14 say if you test at 100 percent load, you might get the
15 highest emissions being developed in the turbine itself.

16 But remember, you also have an SCR catalyst
17 which purpose is to reduce that NOx that you created.
18 And that SCR catalyst only works if it's warmed up,
19 meaning above a certain minimum temperature. It is a
20 reasonable assumption to say that at maximum load, while
21 you have highest NOx emissions, your SCR is operating as
22 well as it can. And the combination of that will give
23 you the emissions that you measure.

24 But take a different pollutant or a different

1 class of pollutants, take carbon monoxide or even
2 formaldehyde. Those will not be created the same way as
3 NOx. Those are products of incomplete combustion. As
4 you go to more and more --- as you go to less and less
5 load, the combustion process is not as efficient and you
6 actually get more carbon monoxide, more VOCs, more
7 formaldehyde, more of a whole number of hazardous air
8 pollutants at lower loads. Just even as they're formed
9 in the turbine.

10 And then their respective pollution control,
11 which is an oxidation catalyst. Which also requires the
12 minimum operating temperature, is not going to be assured
13 of doing anything at lower loads. It hasn't reached
14 temperature. So, for example, a good example, startup.
15 As you're starting out, those oxidation catalysts are
16 doing nothing because they're not up to minimum operating
17 temperature. So you have a situation where a lot of
18 emissions are created because of incomplete combustion
19 because the load is not high enough to assure the hottest
20 temperatures. You create a lot of CO, a lot of VOCs, a
21 lot of formaldehyde, and they don't get reduced at all in
22 the oxidation catalyst, which is ineffective until maybe
23 40, 50, 60 percent load when the catalyst is warm enough.

24 So even if you did testing at 100 percent load,

1 you're not capturing anything about what happens outside
2 of that load. And to simply make the assumption that,
3 okay, I got some times per hour during testing and I'll
4 track the hours, is very misleading and in fact, grossly
5 underestimates the emissions. That's what I'm saying.

6 Q. And you had mentioned formaldehyde
7 specifically. We don't have any information on projected
8 formaldehyde emissions under startup and shutdown?

9 A. No, we --- we don't even have for all VOCs. We
10 just have NOx and CO. And of course we know that other
11 pollutants will be created. I mean they are there in the
12 hourly table, quite frankly. It's not --- it's not ---
13 there's no law of nature or combustion that says on
14 hourly emissions you create a longer list of pollutants.
15 Either fuel, but for some reason when you're in startup
16 or shutdown, those other pollutants don't get generated.
17 And the lines are just blank under startup shutdown.

18 Q. And again ---.

19 A. There is no law of combustion or chemistry or
20 combustion chemistry that says benzene or, you know, will
21 be created when you're at other loads, but not during
22 startup shutdown. So, or formaldehyde will be not
23 created during startup shutdown. In fact, that is
24 patently false and that's absolutely wrong. And there's

1 plenty of evidence. You know, if you're --- if you're an
2 air pollution specialist, you know that that's wrong.
3 And so that is a problem.

4 Q. And beyond the pollutants not listed, even for
5 pollutants that are listed like nitrous --- nitrous
6 oxides and carbon monoxide, we can't tell if they,
7 startups and shutdowns exceed what was assumed?

8 A. We cannot. And --- and carbon monoxide can be
9 a good surrogate sometimes for VOCs and formaldehyde, but
10 that will give us some useful information. But some
11 pollutants --- there's a third class, particulate matter,
12 because that has come up in testimony. Particulate
13 matter doesn't behave either as NOX or as carbon
14 monoxide. So they're flying completely blind, and the
15 metals and things that are attached to particulate
16 matter, you have no idea. And diesel particulate matter
17 is particularly complicated, and you have no idea what is
18 happening during startup shutdown where diesel will be
19 burned.

20 Q. Thank you. Besides the different loads, are
21 there other factors that can influence how much pollution
22 is coming from the land? Environmental factors, for
23 instance?

24 A. Yes. There's, fuel composition is a large

1 part. Even when we say something is natural gas
2 pipeline, natural gas, it still has a range of
3 composition. The methane content, the ethane, propane,
4 butane, butylenes, it can vary. Diesel, same thing.
5 Even if you take a spec number two diesel or number six
6 diesel, it has a range of compositional differences,
7 viscosity on top of things that will change that
8 production of pollutants. On top of it, you need air, of
9 course, to be the combustion oxidizer that we just get
10 air because it's oxygen from that. The ambient
11 conditions, the temperature, relative humidity of the air
12 will play a role.

13 Again, just to reiterate, a cold day, the air
14 is not --- is coming in colder. The combustion is a
15 little less efficient. You have more incomplete
16 combustion, more production of things like CO and the
17 VOCs and formaldehyde. So both ambient conditions as
18 well as the fuel composition are at least important.

19 A third factor which is very important is age
20 of the equipment. Over time, things deteriorate.
21 Combustion systems need tuning. I mean, we know that
22 from experience. You can't take your car for a check or
23 a smog check one time and say we're done. It requires
24 periodic checking because things go out of tune. So

1 that's because of deterioration. High temperatures, the
2 blades in the turbine, the combustion can itself, there
3 is wear and it becomes ragged and more, less efficient.
4 And therefore all of these will affect emissions that are
5 generated.

6 And then the catalysts also wear out. Whether
7 it's the oxidation catalyst or the SCR, which requires
8 ammonia by the way, in addition to its magic. The
9 catalysts themselves erode, they deteriorate, they don't
10 have the same efficiency over time.

11 Collectively, all these effect what's coming
12 out of the smokestacks. And you have to look at all of
13 that before you can simply say hey, a shade below 100
14 tons per NOx or below ten tons formaldehyde and call it a
15 day just by tracking hours.

16 Q. And we're not able to determine, because there
17 is no direct emissions monitoring, if any of those things
18 have taken place?

19 A. Well, in a --- in a paradoxical way, if you had
20 direct emission monitoring, I wouldn't care about what's
21 happening in the turbine or the catalyst because I would
22 know what is coming out, right? The whole point of
23 direct emission monitoring is to then say, you know what?
24 That's what we really care about. That's what's coming

1 out to the atmosphere, to the ambient at this stack.

2 A. We leave it to the operator what fuel, what
3 ambient conditions, what catalyst conditions, what
4 combustion conditions, how often they tune it or don't
5 tune it. We leave it to them because we have the direct
6 continuous measurement of what's coming out of the stack.
7 And then we can just track that.

8 So by having a direct monitoring system --- and
9 by the way, these continuous emission monitors are
10 ubiquitous. It's not rare, they're widely used. They've
11 been used for 30 years plus in power plants, including
12 gas turbine power plants, including today in many
13 projects that are issued out there, they will tell you if
14 they're operating correctly, that just --- if the
15 instrument is operating correctly, what you're going to
16 measure. It actually solves tracking and the burden on
17 the operator because you're not tracking a lot of things
18 that are more minute detail because you have that top
19 line number. So it would be very useful to have that top
20 line number and that does not exist in this program.

21 Q. Now, based on this redacted information, you
22 had done some calculations on the likelihood of
23 formaldehyde emissions yourself.

24 Is that correct?

1 A. Yes, because I had carbon monoxide during
2 startup on annual basis and as I mentioned, carbon
3 monoxide and formaldehyde, these are products of
4 incomplete combustion. They generally track, meaning one
5 can be a surrogate for the other. Carbon monoxide can be
6 a surrogate for formaldehyde or even VOCs in general. So
7 I use that to make some estimates. That is correct.

8 Q. And --- so your calculations that we'll
9 discuss, those did not address the concerns about not
10 knowing the number of startups in shutdowns.

11 A. Correct. I relied on numbers that were
12 available in the redacted version and used a reasonable
13 assumption of surrogacy for carbon monoxide versus
14 formaldehyde and said let me see how that looks.
15 Whatever they said, however many startups and shutdowns
16 were assumed in the redacted version, which had no way of
17 knowing. I said it has to be the same whether it's
18 affecting carbon monoxide or formaldehyde. In other
19 words, you cannot have that unknown number differentially
20 affect one pollutant and not the other. So that black
21 box, that redacted black box would affect both
22 pollutants. And since at least carbon monoxide had been
23 mentioned both for diesel and for natural gas, I made use
24 of that information to develop a reasonable estimate of

1 formaldehyde.

2 Q. And do you have any justification for using
3 that surrogacy that you relied on to give us faith that
4 that was acceptable?

5 A. Well, justification based on my training and
6 experience. I'm a combustion engineer I mentioned from
7 Caltech. I understand how combustion generated
8 pollutants work, any type of fuel. But beyond that, it
9 is widely accepted from a regulatory standpoint by EPA
10 and others that yes, carbon monoxide can be a reasonable
11 surrogate for VOCs, for formaldehyde. I should stress
12 formaldehyde is a VOC, in other words, volatile organic
13 compounds. VOCs are a class of compounds with carbon,
14 hydrogen and oxygen. And they include things like
15 benzene, they include things like toluene and xylenes,
16 but they also include formaldehyde. Formaldehyde is the
17 lowest, as all of you know. You know aldehyde, if you
18 remember your organic chemistry, it's HCHO. Anything
19 that has CHO is an aldehyde. So it is a direct, you
20 know, producer. It's the first and direct produce
21 compound for incomplete natural gas combustion. It is
22 also formed in diesel.

23 Q. If you recall providing as a proposed Exhibit
24 2001 memorandum in EPA about the CO of formaldehyde.

1 A. Yes, as an example of that. I mean, this is
2 not --- if you're a practitioner in the field, it's
3 pretty well known. But yes, that is an example. And
4 there are others. I did provide that.

5 ATTORNEY BECHER: May I approach?

6 CHAIR: Sure.

7 BY ATTORNEY BECHER:

8 Q. Now, do you have that memo with you in front of
9 you?

10 A. Yeah. Which exhibit was it? I'm sorry again?
11 Was that 4 or 5?

12 Q. This is August 20th, August 21st, 2001. I
13 think this was actually initially labeled Exhibit 4 when
14 I sent them to you, but now it's going to actually be 2.

15 ---

16 (Whereupon, Appellant Exhibit 2, 2001
17 Memorandum, was marked for
18 identification.)

19 ---

20 THE WITNESS: I do see that it is ---. I
21 do see that memorandum. Yes.

22 BY ATTORNEY BECHER:

23 Q. And just to be clear, we're looking at the same
24 thing. That is a memorandum dated August 21st, 2001.

1 ATTORNEY BECHER: No, thank you for
2 clearing that up.

3 BY ATTORNEY BECHER:

4 Q. And you'll see in that third paragraph, there's
5 a statement. Carbon monoxide is a good surrogate for
6 formaldehyde and other HAPs.

7 A. Yeah. Just so I'm sure in my version, that
8 paragraph is the top paragraph on the second page.

9 Q. Correct. Oh, I guess it would be the fourth
10 paragraph. I'm sorry.

11 A. Yes. Just to be really sure about that,
12 because that's the operative paragraph. It says
13 formaldehyde is the most significant HAP emitted from
14 combustion turbines. And that's the point I made
15 earlier, especially for natural gas. And that carbon
16 monoxide is a good surrogate for formaldehyde and other
17 HAPs, meaning the VOCs. And that's exactly what I was
18 mentioning earlier.

19 Q. Okay.

20 If we go back to the preceding paragraph. That
21 talks about pollution controls, the oxidation catalyst.

22 A. Exactly. The oxidation catalyst acts on CO and
23 VOCs and formaldehyde. Correct.

24 Q. So is it your testimony that this is an exhibit

1 that supports the methodology that you used in your
2 calculations using CO as a circuit?

3 A. Yes, it completely supports that. And what
4 I've done by way of calculations is conservative.
5 Meaning emissions have estimated to be even higher for
6 reasons I can explain. But even as a first cut relying
7 on CO, there is absolutely no question that since we know
8 the CO numbers, at least even in the unredacted --- even
9 in the redacted version, that can be used formaldehyde
10 emissions because they're not separately noted in the
11 redacted version. In fact, the redacted version actually
12 confirms that there's zero. That's why there are dashed
13 lines for startup shutdown formaldehyde. And that is
14 incorrect. And to fill that gap, it's entirely
15 appropriate for that.

16 Q. And I would now like to have you turn to those
17 calculations.

18 A. Okay. There's a table there was an exhibit.
19 If everybody has that, I can walk them through that.

20 ATTORNEY BECHER: May I approach again?

21 CHAIR: Absolutely, please. Scott, do you
22 have this table?

23 ATTORNEY DRIVER: My apologies, I was
24 still on mute. Yes, I do.

1 BY ATTORNEY BECHER:

2 Q. And Dr. Sahu, can you explain what this table
3 represents?

4 A. So this table represents my estimate of the
5 formaldehyde emissions and all HAP emissions. So there's
6 an all HAP and then there's a formaldehyde. I was trying
7 to estimate what those would be under the totality of
8 normal and startup shutdown conditions for this proposed
9 plant.

10 Q. And again, this is ---.

11 A. That was the purpose.

12 Q. This is based on information in the redacted
13 permit using the assumptions that were used by ---.

14 A. Yes, they're redacted version information, but
15 self-consistent, meaning whatever those black box
16 assumptions were, even without knowing them, they would
17 still apply to this type of analysis. So I did not use
18 any unredacted records because when I did this, that's
19 what I had is the redacted version.

20 CHAIR: All right.

21 So, this to enter as Exhibit ---.

22 ATTORNEY BECHER: Three or 4?

23 CHAIR: Three.

24 ---

1 (Whereupon, Appellant Exhibit 3, HAP PTE E
2 Estimate, was marked for identification.)

3 ---

4 CHAIR: Any objection?

5 ATTORNEY DRIVER: No objections.

6 CHAIR: All right.

7 ---

8 (Whereupon, Appellant Exhibit 3, HAP PTE E
9 Estimate, was admitted.)

10 ---

11 BY ATTORNEY BECHER:

12 Q. All right.

13 Can you walk us through your calculations, Dr.
14 Sahu?

15 A. Yes. It'll be pretty painless. So there are
16 three panels, if you will, that are separated by this
17 kind of double line. The first panel beyond the titles
18 of the columns is for natural gas. If you look at the
19 fuel is natural gas for that first panel. So I'll
20 describe what I did for natural gas. It's an identical
21 process for diesel in the second panel and then the
22 summation of that really is at the bottom for both fuels.
23 So let me just tell you what I did for the natural gas.

24 So as I mentioned, for carbon monoxide we do

1 have two pieces of overall information regardless of how
2 they were calculated. Both annual normal emissions or
3 operations. The application says it's 19.32 tons per
4 year. You can check that against page 59 where there is
5 number comes from. And the same page also talks about
6 the startup shutdown of natural --- using natural gas for
7 carbon monoxide, which is 37 tons.

8 Right away here you should be struck that even
9 by the applicant's own analysis you have almost double
10 the amount of CO coming from startup shutdown. As for
11 normal operation, that tells you how inefficient that
12 combustion is in that initial part. Why load is
13 important, why testing at 100 percent under normal
14 operation will not tell you anything about that very
15 inefficient and high emitting condition. It should be a
16 red flag right there. From your verification and
17 monitoring, you know, that your stack test, unless it can
18 test at all loads, is not going to tell you anything
19 about this higher emitting portion in non-steady startup
20 channel.

21 Having made that point, I do have those two
22 numbers however they're estimated with however many
23 events and durations by the applicant.

24 Q. Let me --- let me jump in here real quick. You

1 have a reference on this table to page 59 for natural
2 gas. I'll have you turn to page 58 and see if
3 that's ---.

4 A. Yeah, these might be PDF pages. So let me go
5 there. Let me just make sure because when I was doing
6 this there was one off the PDF and --- confirm that. For
7 that then I will make my apology. No, actually it is
8 page 58. You're right. So it is PDF 59 and number page
9 58 is what I'm talking about.

10 Q. Okay.

11 So where we see page 58 here --- or 59 here
12 should be 58.

13 A. And then one off for the other one.

14 Q. And so for diesel we see page 60, it should be
15 59.

16 A. That's correct. I should have made it clear
17 that these are PDF page numbers in the PDF document I
18 got, but number pages off.

19 ATTORNEY DRIVER: And this is Scott. I
20 hate to interject here, but if the Board could inquire of
21 Mr. Sahu whether or not he is referring to any digital
22 notes during his testimony, I think that might be
23 appropriate.

24 CHAIR: Okay.

1 THE WITNESS: I can respond. I don't have
2 any notes.

3 ATTORNEY DRIVER: Thank you very much.

4 THE WITNESS: Yeah, I don't have any
5 notes. I'm just --- I have a couple of --- what I have
6 on the computer are the exhibits in electronic or PDF
7 form. Those documents are open, but I don't have
8 anything else.

9 ATTORNEY DRIVER: Thank you very much.

10 THE WITNESS: Sure. May I turn to the
11 calculations?

12 BY ATTORNEY BECHER:

13 Q. Yes. And so you had said that the references
14 to page 58 for operations and shutdowns for CO, those are
15 representative of the information from those pages. From
16 there ---

17 A. Yeah.

18 Q. --- to calculations?

19 A. Yeah, the 19.32 and the 37.05 are directly
20 taken from what is number page 58.

21 Q. As well as the ---.

22 A. I'm coming to the next two, which is the
23 formaldehyde and the total organic HAPs. And that's
24 important. The CO on this scale with organic HAPs. The

1 formaldehyde is taken directly from that page and the
2 organic HAPs are 9.33 tons because I did not include any
3 metals, for example. They did not scale the CO.

4 Q. So again those are taken from the figures
5 in ---.

6 A. Page 58 of the application. In other words, I
7 assume that they are accurate even though I don't
8 understand how they were developed. But this application
9 was submitted with all kinds of jurats about accuracy and
10 reliability and clearly the DEPS relied on them. So I
11 used those numbers.

12 Q. And then you performed a simple mathematical
13 operation with the scaling?

14 A. Yes, and I simply scaled formaldehyde. If I
15 know the normal operations are 3.86, what would the
16 startup shutdown emissions be? I don't have that
17 directly because it's listed as blank and I know that
18 that's inaccurate. So what should that be? Your first
19 approximation? I use the CO values because I have those,
20 the 19.32 and the 37.05 and CO scales and formaldehyde
21 scales with CO. So that's how I come up with 7.4 tons,
22 which is not surprisingly almost double. Just like CO
23 was double. The 7.4 tons is almost double of the 3.86
24 tons.

1 And similarly total organic HAPs the simple
2 algebra which is you take the 9.33 tons and multiply it
3 by 37.05 divided by 19.32, CO scaling that gave me about
4 17.9 tons. So I put my estimate scaling in italics just
5 to show you that those are my scaling calculations. The
6 nonitalicized numbers are taken directly from the
7 application.

8 I do the same exact thing for diesel.
9 Different page. This should be page 59 instead of 60
10 because of the PDF numbering. The first four numbers
11 come directly from numbers in that page from the
12 application. I do a similar scaling. Here you can see
13 with diesel things are a lot worse even by the
14 application alone. CO for normal operation for diesel is
15 a little less than 7 tons. CO for startup is 46 tons
16 just from the application. That tells you how poor the
17 combustion will be. The liquid fuel. Liquid fuels are
18 harder to complete combustion and that's the consequence
19 of that. You have a lot more unburned combustion going
20 on. And this is again doing mental math is close to six
21 and a half times the emissions.

22 Here again, if you did test for diesel during
23 one time near stack test. It will tell you nothing about
24 this dramatic and much higher emissions during non-steady

1 state startup shutdown conditions. But the process I did
2 was the same. I scale the respective diesel numbers to
3 come up with the italics numbers which are the 10.8 for
4 formaldehyde, you have startup shutdown for diesel and
5 15.5 for the organic HAPs, again excluding the metal
6 HAPs.

7 And then the bottom panel is simply the
8 summation. I have the normal operation first for --- I
9 mean first for formaldehyde, then for the organic HAPs.
10 So I know the normal operation for both is simply what is
11 reported in the respective pages. The 3.86 and the 1.58
12 that's 5.44. The startup shutdown, these are my
13 estimates in italics, the 7.4 and the 10.8 and they
14 combined therefore normal plus startup shutdown is 23.6
15 tons.

16 Recall that for any given hazardous air
17 pollutant, 10 tons is the threshold above which things
18 become major source of HAPs. And by including the
19 reasonable estimate even from the redacted version for
20 what those missing startup shutdown emissions are
21 formaldehyde I am well over 10 tons. I'm at 23.6 tons.

22 Q. And I have a question for you on the
23 formaldehyde under diesel.

24 A. Yes.

1 Q. Even if we take your scaling for formaldehyde
2 going back up to the first box.

3 A. Yes.

4 Q. Startup and shut down in 7.4?

5 A. Yes.

6 Q. And we add that to what we would expect to
7 produce under normal operations.

8 A. Which is 3.86 according to the application.
9 Correct.

10 Q. We would still be over the 10.

11 Correct?

12 A. Yes. Just by doing mental math, you'd be over
13 11 and change just from gas alone. And if you did the
14 same thing for diesel alone, you'd be also more than 10
15 because the normal is 1.58, the startup shutdown is 10.8.
16 On either fuel alone you would be over. And of course
17 combined both fuels you're over. And just to round out
18 the calculations, I did the same thing for all organic
19 HAPs and that is 45 tons. I did that because there is a
20 separate threshold for major source for all HAPs, which
21 is 25 tons of HAPs aggregating. And my calculation
22 actually is underestimating it because for all of the all
23 organic HAPs is 45. You bring in the metal HAPs on top,
24 it'll be even more than that. But I'm well above 25

1 tons. So that's what this calculation confirms, that
2 this is not a major --- this is not a minor source or a
3 synthetic minor source of HAP emissions.

4 Q. And again, if we go back up, just looking at
5 for example, the natural gas where you had calculated all
6 organic HAPs during startup and shutdown, 17.9 and then
7 add that to the normal operations figure that was given
8 by the Permittee were above that major source threshold.

9 A. Yes, this is --- now you're adding others not
10 shown 19.17.9 to the 9.33. You're over 27 tons, which is
11 more than 25 tons for the major source just on gas alone.
12 And then --- and for hopefully in discussion that will
13 follow, I'll show why even this is dramatically going to
14 underestimate even what the actual formaldehyde emissions
15 are likely to be. In other words, even though this is
16 major with my scaling, I will show that it is likely to
17 dramatically underestimate even what the actual emissions
18 or potential emissions will be either one of them under
19 gas alone. And we can talk about that.

20 Q. And just to be clear, that discussion would
21 depend on your discussing confidential --- what has been
22 designated as confidential information?

23 A. No, that information will depend on some
24 publicly available testing done by EPA.

1 Q. Fair enough. Just wanted to make sure we were
2 on the same page of where we're going. Okay.

3 So you just mentioned some publicly available
4 information. Did you review publicly information
5 available information on --- are you aware of anyone else
6 that has looked at increased formaldehyde under unreduced
7 waters?

8 A. Yes, EPA has looked at it. EPA rulemaking
9 going back almost 20 --- 10 years ago for gas turbines,
10 for lean burn gas turbines, exactly the same technology
11 they have looked at. So they have looked at it quite
12 extensively at the time. As a practitioner who deals
13 with this all the time I'm aware of that work even though
14 it's 20 years. Luckily for me, how incomplete combustion
15 works in combustion chemistry has not changed in 20
16 years. And so that is very reliable information.

17 Q. And you provided EPA review you're referring to
18 as a proposed exhibit.

19 A. I have provided that exhibit. It's publicly
20 available. It's nice, not a secret. These are just like
21 the other Sims document is publicly available. This too
22 is publicly available. And that's what I provide.

23 ATTORNEY BECHER: May I approach?

24 CHAIR: Sure. Scott, do you have this one

1 as well?

2 ATTORNEY DRIVER: I do, Mr. Chairman.

3 ---

4 (Whereupon, Appellant Exhibit 4, 2003
5 Memorandum, was marked for
6 identification.)

7 ---

8 BY ATTORNEY BECHER:

9 Q. And just to make sure we're looking at the same
10 thing, this is a June 23rd, 2003 memorandum.

11 A. Yes, it is a memorandum from an EPA contractor
12 working on this rulemaking to the same Mr. Sims from EPA
13 dated June 23, 2003. Right.

14 Q. Okay.

15 And is there any significance to this stamp on
16 top OAR-2002-60?

17 A. That's a stamp that says it came from that
18 docket. I mean, OAR-2002-0060 was a rulemaking docket.
19 It was a document from that docket.

20 Q. So this would be an EPA record?

21 A. It's an EPA record.

22 CHAIR: Are we entering it?

23 ATTORNEY BECHER: Yeah.

24 CHAIR: Any objection? Mr. Driver, any

1 objection?

2 ATTORNEY DRIVER: None, Mr. Chairman.

3 CHAIR: We'll enter it as 4.

4 ---

5 (Whereupon, Appellant Exhibit 4, 2003

6 Memorandum, was admitted.)

7 ---

8 BY ATTORNEY BECHER:

9 Q. Can you explain the significance of this
10 document?

11 A. Yes. There are two important takeaways from
12 this document and they're both important. So the first
13 --- or either one, the first issue is that this is a
14 summary of actual testing, not calculations, actual
15 testing done on a number of lean premix combustion
16 turbines. Exactly what we're talking about here, the
17 same technology, across many different manufacturers,
18 many different test sites. Available at the time focused
19 on formaldehyde emissions.

20 And two issues were looked at in the memo we'll
21 discuss. One is how do you measure that? In other
22 words, the measurement methods. In other words, how, if
23 you want to accurately measure formaldehyde, what type of
24 measurement or test methods do you use? They're listed

1 on that first page and we'll gloss over them. There are
2 EPA methods at that time. There is something called the
3 California Air Resources Board method. These tests were
4 done using different methods to see the inter method
5 variability. And that's one aspect of the method. Not
6 what I'm going to stress here. Not because it's not
7 important, but I'm not going to stress that here other
8 than letting the Board know that any testing you might do
9 later on for formaldehyde has to be carefully done
10 because there is inter test method variability. And that
11 is something very important. You just don't do a test.
12 Tests are complicated and they're not simple and you have
13 to be mindful of that.

14 But regardless of which test method you use,
15 the second point is what I want to stress, which is for
16 many of these situations, the testing was done at
17 different loads. The point I've been making that just
18 testing at 100 percent load is not the same as testing at
19 other loads. So formaldehyde was measured by multiple
20 test methods at different loads. And you will see when I
21 show you examples how dramatically, I mean, I can't use
22 any other word how dramatically the load plays a role in
23 the emissions for reasons that I've explained, which is
24 the combustion conditions become more ragged, more

1 inefficient as you get to lower loads and sometimes not
2 even greater lower loads and you get therefore higher
3 emissions. That's the part I want to show the Board.

4 Q. Let's turn for example to page four of this
5 document, which was done on, I believe Solar Mars, Solar
6 NOx. It has loads 100 percent, 75 percent, 50 percent
7 and 35 percent. Can you describe those?

8 A. So two or three things just to be --- orient
9 everybody who has this at the top, because when I scroll
10 down I don't see it. But if you have hard copies, the
11 last three columns are different test methods. In other
12 words, they are just side by side comparisons. And these
13 are all in the same units. And formaldehyde is typically
14 reported as parts per billion corrected to 15 percent
15 oxygen. And so those are all the same units and
16 correction to oxygen.

17 And with that said yes, the last grouping of
18 tests which are happen to be the Solar Mars, they were
19 done on this page you can see the first part of that is
20 at 100 percent. That's the load. And that is the ---
21 you can again look at the top header. It says turbine
22 rating and then load, and there's a database ID.

23 So there's 100 percent, 75 percent, 50 percent
24 and 35 percent loads. Startup shutdown, by the way, will

1 definitely be within 35, and arguably even at 50 percent
2 load, based on what most people do, you're still in
3 startup between that 35 and 50 percent. So keep that in
4 mind. And then they had different runs. So there's a
5 run to run variability. The 100 percent was at three
6 different runs and then there was an average. And then
7 there are a couple of runs for each of the others. And
8 there are averages there as well. Other than making the
9 point that you can even see the run to run variability
10 even at same load, you can --- you don't get steady state
11 quote, unquote, because combustion is not steady state
12 process. It's inherently unsteady state even at the same
13 load.

14 But besides that point, what I want to show you
15 is the dramatic increase as you go in the average numbers
16 as you go lower and lower. So we can pick anyone. We
17 can --- let's pick the last column since it's easier to
18 track. The average for the three runs was 46.9. If you
19 can see that number, parts per billion at 15 percent
20 oxygen. And that's in that last estimate. Just by
21 dropping to 75 percent load, that 46.9 on average is now
22 194 parts per billion. Not quite --- you know, not quite
23 five times, but over four times higher.

24 And then when you go to 50 percent load, that

1 46.9 is 2,415 parts per billion. Again, doing some very
2 simple mental math, that is 25 times higher. Just
3 compare 50 to 2,500 you get five --- you know, you can do
4 the math.

5 So and then the last one at 35 percent get off
6 the charts. The average is 83,000 and change parts per
7 billion. Compare that to the 46.9 at 100 percent load.
8 When I show this to people, there's not an appreciation
9 how rapidly combustion deteriorates at lower loads and
10 how therefore 100 percent load is absolutely not
11 representative of all loads. And this is actual data.
12 And this is one example. This is the Solar Mars. And so
13 just because it had four different loads showing you that
14 progressively worsening and dramatically worsening
15 formaldehyde number. And that's what I want to say from
16 this panel.

17 Q. Let's --- let's look back at another turbine
18 manufacturer. If you go to page three, we don't have the
19 same variability of loads, but would you say that looking
20 at the Fort Saint Vrain, the GE turbine there.

21 A. Yeah, it's a little bigger size turbine, 130
22 megawatts. And they did that at --- it's a reverse that
23 it's 100 percent load and 25 percent load. So if you
24 look at the 100 percent average, and again, the last

1 column was 4.6. The 25 percent load here is 12.6. So
2 not quite the worsening we saw in that solar, but still
3 three times higher at 25 percent load. We actually do
4 see that. The load implications of VOC, CO and
5 formaldehyde is not really a question if you understand
6 combustion in these internal combustion engines.

7 Q. Yep. And just to give one more example, turn
8 to page 11.

9 A. Let me get there. Page 11. Okay.

10 Q. We see the Sommerset, Ohio turbine operates
11 testing under 100 percent and then down to 73 percent
12 load.

13 A. Yes.

14 Q. And do we see an increase there?

15 A. Yes. And again, this is not very dramatic
16 reduction in load. That's a different Solar Mars
17 turbine, 14,000 horsepower. Not --- not a small turbine.
18 And yes, you see 100 percent of that turbine. The
19 average was 60.9. Again, focusing on the last column
20 just for ease. And that is 231 parts per billion.
21 Again, average. And so that's, you know, little less
22 than four times. Again, this is gas fired. And if you
23 recall my calculations, the gas fired difference between
24 startup and the steady state was about a doubling 19

1 times, 237 times. And these examples show that doubling
2 is not --- doesn't even capture what we see here. It is
3 3 times, 4 times, 25 times, you know, hundreds of times.
4 It could be. So even using a doubling, you're actually
5 source and above. And when you look at actual load
6 variable data, the doubling is conservative. That's what
7 I meant by I was going to show you that my calculations
8 likely dramatically understate the formaldehyde emissions
9 that you get collectively mainly from start up and down.

10 Q. And there is one example here that may first
11 seem counter to your theory. If you turn to page 10.

12 A. Yes. There are tens of them here. One of them
13 I can show you. Yes. I don't hide any of this. You can
14 look at it. I mean, I didn't count them, but there's
15 probably 20 or 30 different tests and only one was
16 anomalous. And you can point that out to the Board.

17 Q. And even though this is anomalous, if you look
18 at page 10, the Richmond, ME. Is that what you were
19 talking about?

20 A. Yes. Yes. There was one empty, and that's the
21 Taurus turbine. And that one --- that one could be. It
22 appears anomalous because there are two loads, but each
23 load is listed as a range. So there's an 82 to 55
24 percent load because this --- the equipment was not

1 running even during these runs. And that had 565. And
2 in a lower load. This is what I mean by paradoxically
3 that 66 to 71, the average they reported was 184, which
4 is low. That is counterintuitive. So this is the only
5 instance. Let me just finish that. But we don't have
6 clarity on the actual load, so that makes it a little
7 hard to do.

8 Q. And in fact, the range is given the top one,
9 although it has a higher max --- or higher high load. It
10 actually has a lower low load.

11 Is that correct?

12 A. Yeah. In other words, you could have the lower
13 panel be between let's say 71 or 66 or 71. The lower one
14 could be at 55 and that would not be an anomaly. But
15 because it's in this range, you really can't tell. But
16 other than that, every single example, and there are many
17 here in this memorandum that all point consistently to
18 what should fit in and does fit in with understanding of
19 how combustion works, which is dramatically higher.
20 Startup, shutdown, half emissions.

21 Q. And do you believe this supports your
22 calculations?

23 A. Yes, it does. Because my calculations are
24 understated. If I had multiplied instead of scaling the

1 factor of two roughly from the redacted version, but used
2 a factor of three, a factor of four, factor of 20, you
3 can only imagine how high those numbers would have been
4 and how much dramatically they would exceed the 10 or 25
5 ton thresholds, perhaps.

6 Q. And this is testing that was done in 2003. Do
7 you know of anywhere where EPA has stated the testing of
8 formaldehyde more recently?

9 A. Yeah, EPA is going through a Rulemaking start
10 and stop about updating their rules for formaldehyde for
11 gas turbines. And there is some preamble language, you
12 know, just without as much detail but just noting that
13 very fact again very recently. Just to stress just
14 because this data is old doesn't mean combustion
15 chemistry has is not valid. I don't want to get ---
16 mislead anybody. Combustion chemistry and incomplete
17 combustion continues since the day five was made by
18 prehistoric human beings. So that's the same. But yes
19 there is more recent data for people that want to see
20 that has not changed.

21 Q. Thank you. And so you can bring it up. I'm
22 going to bring up the Federal Register notice actually
23 dealing with the petition to remove stationary combustion
24 sources major sources of hazardous air pollution.

1 A. Yeah, it's a relatively recent Federal Register
2 notice from once you show folks it's from April of 2024.
3 It's not too long ago. And I'm just trying to get to
4 that on my end.

5 Q. And I believe the relevant section that we had
6 discussed is on page 2684.

7 A. 26840?

8 Q. 26844.

9 A. 844. I'm sorry. Yeah, thank you for pointing
10 that out. Yes, I am there and I see now. Correct.

11 Q. And there's a statement in the second column
12 about two thirds down that paragraph. A similar analysis
13 formaldehyde emissions for Unit 7 and 8 and Northern
14 Natural gases water with compressor station showed the
15 amount measured formaldehyde emissions were 31 times ---
16 18 times units higher than estimated emissions.

17 A. Yes, the entire discussion for people that want
18 to meet if there's some examples from a landfill gas
19 turbine and I'm excluding that because we're not burning
20 landfill gas. But quite honestly bears because any type
21 of gas, any type of fuel has poor combustion at lower
22 loads. But just sticking to even the natural gas. Yes.
23 Two different units were tested here and VP is talking
24 about that. This is from the waterloo station in Iowa.

1 They use gas fired turbine for that compressor station
2 and yes dramatically higher 31 times and 18 times
3 depending on the unit that the estimated emissions, so
4 same thing.

5 Q. And this is illustrating the magnitude of
6 difference between projected emissions like we have for
7 this permit.

8 A. Yes, exactly. This is --- but accounting for
9 the full range of emissions not just during full load.
10 That's the whole point is the load variability and how
11 that can dramatically completely skew in a bad way these
12 projections done only for 100 percent load.

13 CHAIR: Okay.

14 This is Exhibit 5.

15 ATTORNEY BECHER: Exhibit 5.

16 ---

17 (Whereupon, Appellant Exhibit 5, Federal
18 Register 2024, was marked for
19 identification.)

20 ---

21 CHAIR: All right.

22 BY ATTORNEY BECHER:

23 Q. We've talked a lot about two pollutants based
24 on the redacted data. The nitrous oxides as well as the

1 formaldehydes. Given your review and your calculations,
2 just based on the redacted information available to the
3 public, do you think it's likely that we will exceed the
4 minor source thresholds for nitrogen oxides?

5 A. Yes, I've stressed the whole thing in the last
6 10, 15 minutes or more for formaldehyde and for all HAPs,
7 but for nitrogen oxide for sure. Mainly looking at the
8 non-existent in my view margin. If you look at the
9 redacted version depending --- and the permit, if you
10 look at the permit were looking at that had the combined
11 fuel, you're barely by a sliver below the 100 ton
12 threshold. And I know mathematically it looks that way,
13 but with combustion variability NOx generation, you
14 literally as an engineer cannot say what the statistical
15 difference between a 99 point change and 100 tons is.
16 There is no statistical difference.

17 So this is a permit by algebra and it means
18 nothing because the variability can overwhelm you. If
19 you're an air pollution practitioner, you know that the
20 uncertainty in these emission estimates can be 20, 30,
21 40, 50, 100 percent, not slivers of 1 percent. And so by
22 taking a strategic position that I'm going to stay below
23 major source threshold. And for reasons that have come
24 up in testimony which I wholeheartedly agree with,

1 because it avoids dealing with major source modeling and
2 VAT monitoring and all kinds of things, you are
3 pretending here that you can actually demonstrate that
4 you will below major source threshold even at the best of
5 times, even if you have continuous monitoring and here
6 you don't even have that, you're truly flying blind. And
7 so yes, for NOx for sure and for HAPs and formaldehyde,
8 which is one of the HAPs you're going to be over the
9 threshold, keeping all other assumptions the same. Which
10 is in other words, as the facility has been presented to
11 operate whatever is behind the black boxes, you're over
12 on either count.

13 Q. Thank you. Now, I understand we're going to
14 review some of the unredacted data in a closed section.
15 I'd like to just briefly address another topic before we
16 go into the closed section. If you go to the certified
17 record at page 226.

18 A. Let me just get there in a different document.
19 226. Okay.

20 Q. I believe you will see that the DEP did take
21 account of certain fugitive emissions.

22 A. Yeah, there's a list of them there. This is
23 just to be sure. This is page 14 of 30 of the permit
24 itself.

1 Q. Fourteen (14) of 30 of --- yes, I believe this
2 is engineer's evaluation and it's page 226 of the
3 certified record.

4 A. Yes. If you're looking at a table in the
5 middle of that, it has really the five sources that are
6 listed. We focused almost exclusively on the turbines
7 for either fuel and then the tanks, the unloading of the
8 diesel, the paved haulers and the future leaks. That's
9 correct.

10 Q. Based on your experience, is there any obvious
11 sources of pollution missing from these emission sources?

12 A. Well, yeah, there are other things that are
13 certainly pollutants. I mean ammonia is a good example.
14 Ammonia is a reagent that's going to be used in this SCR
15 for NOx reduction. This doesn't talk to bringing in
16 ammonia, unloading ammonia, storing ammonia, handling
17 ammonia emissions associated with all of that. So that's
18 just off the top of my head.

19 Data centers require enormous amounts of
20 cooling. Just by the nature because the chips that are
21 used there are extremely large heat generators. In fact,
22 we had a cooling failure, if you recall, the entire
23 Chicago Board of Trade shut down two days ago in the
24 middle of winter in Chicago in the middle of a polar

1 vortex nonetheless, two days ago. But all futures and
2 options trading off worldwide for 12 hours due to a
3 cooling failure, a chiller failure. And so there are ---
4 they will likely be cooling here as you can just do it
5 with air cooling in summertime in West Virginia can get
6 humid and reject the heat. And so there are chemicals
7 associated with that with the cooling side that I don't
8 see any mention of. So yes, as matter of completeness,
9 these are not likely to be the only sources of even
10 operating emissions. This facility is built and
11 operated.

12 Q. Thank you, Dr. Sahu.

13 ATTORNEY BECHER: And if you could now I'd
14 like to ask pursuant to the protective order to go into a
15 closed session to look at ---.

16 CHAIR: Well, before we do that, do we
17 want to give Scott an opportunity to Redirect without
18 going into the redacted data or would you prefer ---?

19 ATTORNEY BECHER: Do either way.

20 CHAIR: Do you have another piece --- when
21 we come out of redacted, do you have another piece you're
22 going to do?

23 ATTORNEY BECHER: No, that is it. Except
24 for the portion on the confidential data.

1 start, a lot of discussion during the break has been
2 where we're going with testimony today. And it's pretty
3 clear we're not going to be able to finish this up today.
4 So our intent is that we will do the Cross now for what's
5 been presented to us so far. We will then go into the
6 confidential session, in which case the room will have to
7 be cleared and that will be the end of what we do today.
8 And then we'll come back tomorrow morning at 8:30 and
9 finish with the Appellee and the Intervenors for the
10 positions. Okay, so that's where we're going. All
11 right.

12 ATTORNEY DRIVER: I'm sorry. I'm sorry,
13 Mr. Chairman. I had to step away for a moment. Did you
14 say that when we're done with Dr. Sahu, we're going to be
15 done for the day?

16 CHAIR: That is our intention. Yes, sir.

17 ATTORNEY DRIVER: Thank you.

18 CHAIR: So you can release your witness
19 for the day.

20 ATTORNEY DRIVER: Thanks.

21 MS. DERAIMO: And Scott, did you receive
22 by email with the phone number?

23 ATTORNEY DRIVER: I did, Kenna. Thank
24 you.

1 emissions and they operated at or under the hours of
2 operation limit, would they violate the annual emissions
3 limit?

4 A. Same answer. But that if becomes even more
5 important because that is not true for every pollutant.
6 That's the point I've been making. The max hourly is not
7 --- it is a function of the load and not just at max
8 operating load.

9 Q. Now in your experience, when a vendor gives a
10 guaranteed emission rate of a pollutant, what does that
11 mean?

12 A. So I have quite a bit of experience in that,
13 including for the major turbine manufacturers. What that
14 means is that they --- a guarantee. When I've actually
15 seen them, they say we will stand behind a number. And
16 at this point we can talk about the form of the number,
17 but typically it's a concentration so many parts per
18 million of some pollutant, but subject to some key
19 caveats. The three that are important, that are common
20 to all the vendor guarantees I have experienced or seen,
21 number one, they're for limited time. They might be for
22 a year. They might be just for the acceptance test
23 itself. And it might be just I've never seen one for
24 more than a year.

1 Number two, the vendor will specify the test
2 conditions. Generally what are known as for turbines,
3 ISO conditions. This is international standards
4 organization. It has certain standards for testing under
5 pressures and temperatures and so on. And usually the
6 manufacturers will have test rigs for ISO testing. And
7 that's where they would be doing their own testing. And
8 they say as long as the test conditions are ISO, then we
9 will do. And then sometimes they might give you
10 guarantees for other conditions if they have that type of
11 confidence.

12 And then the third is they want to know that
13 the fuel specifications are pretty tight. As I
14 mentioned, fuels are an important part of what emissions
15 might result. And so they will tell you that, you know,
16 we are going to give you this limited guarantee based on
17 what you have to you, meaning the purchaser of the
18 turbine of what fuel you're going to use and will echo
19 that back to you and then give you that limited time
20 guarantee, typically till the first acceptance test.

21 Q. If the vendor's guarantee, and we're talking
22 about during the length of the guarantee, is at or below
23 the level of a permit limit and the equipment's operated
24 per those vendor spec, does that raise the level of

1 confidence that the units wouldn't vary the length of the
2 guarantee?

3 A. No, it does not. Because I have never seen a
4 vendor guarantee anything at different loads. I
5 mentioned the load variability here. Vendors will
6 guarantee some things at certain loads, but not the loads
7 that are at issue when emissions are created. But your
8 question may be, you know, if the vendor is saying, for X
9 pollutant, I will meet Y percent or Y ppm for Z load.
10 Yes, for that limited circumstance, I can say that they
11 will test and they will meet it.

12 I should also mention one thing. Vendor
13 guarantees. The contracts that I've seen usually have a
14 provision or provisions that say if we fail, then we get
15 the right to fix or tune and retest. So that is very
16 common part of a guarantee, which is we will stand behind
17 a number and we will use our testing company or a
18 mutually agreed upon testing company and we will do a
19 test. But for whatever reason, if the number turns out
20 to be above, then we get the right to go back and make
21 whole and do things. Whether it's maintenance, whether
22 it is more, you know, tweaking depends on what might
23 cause that. And so the guarantee is also limited by
24 having that sort of chance to fix the problem. But those

1 are extremely limited guarantees, even under the best of
2 circumstances is the point I'm trying to make, Mr.
3 Driver.

4 Q. So if those limits are so narrowed down to what
5 sounds like essentially the molecular level, why do they
6 exist? I mean, it doesn't sound --- it basically sounds
7 like, okay, if you can get through the eye of a needle
8 with this circumstance, then the guarantee works. So
9 what's the use of the vendor guarantee?

10 A. They're pretty useless is the short answer.
11 They are pretty useless. When you look at the, you know,
12 when you, this turbine, these turbines, however many they
13 are, will operate for decades. They're going to operate
14 for a long time. You don't put an investment like this
15 to have it run for two years and shut it down. So either
16 equipment will deteriorate. All kinds of things will
17 happen. So they are pretty limited.

18 I think the correct answer, and I'm being very
19 candid with you, is there is something magical about the
20 word guarantee. When people hear that, it's like, oh,
21 there's some kind of a absolute, you know, thing I can
22 depend on. And that's our common sense English word.
23 The guarantee kind of conveys a lot more vigor and
24 solidity or assurance than is warranted. And this

1 happens all the time.

2 But these guarantees are --- and I can
3 understand the vendor's perspective, the vendor can only
4 operate in up to a limited time. I mean, they don't know
5 how the equipment will be operated, how much maintenance
6 will be done, whether everybody's going to follow the
7 exact requirements of their manual. Those things don't
8 happen. I mean, you take our own experience. Do we
9 maintain our cars exactly like the way forward GM tells
10 us to? No, we fail. We don't do that all the time. So
11 for them to then give you the guarantee that has any more
12 longevity is something that is unfair to them.

13 I'm not dinging the vendors. I'm saying
14 emissions are complicated. They depend on many factors,
15 and you get a very limited, very short duration qualified
16 guarantee. And by the way, I've seen contracts with no
17 liquidated damages and all kinds of contractual outs we
18 don't even need to get into. So they have produced us.
19 I mean they're not reliable in lieu of testing. If they
20 were, then EPA and states wouldn't be requiring
21 continuous emission monitoring from many types of
22 sources. They would simply say what did the vendor tell
23 us? Let's just go back. The reason we have continuous
24 monitors everywhere is because these things are not

1 designed to give you that robust assurance.

2 Q. Now are you suggesting a CEMS, which is the
3 Continuous Emissions Monitoring Systems, CEMS. I'm just
4 going to call it CEMS going forward. Are you suggesting
5 that for every pollutant?

6 A. I'm suggesting that for whichever ones the CEMS
7 are available. You unfortunately don't have CEMS for
8 every pollutant. The technology doesn't exist for
9 example condensable PM 2.5, you just have ---. So where
10 we have CEMS that are widely used, I'm suggesting you
11 should use them.

12 This is a pretty sizable power plant in its
13 aggregate and if this power plant was built a little
14 differently, it would have SEMS. For NOx, for CO, there
15 are CEMS for organic HAPs, there are CEMS for filterable
16 particulate matter, there are CEMS for ammonia. There's
17 all kinds of CEMS out there and they're --- meaning
18 they're out there in use. So yes, subject to
19 availability. I'm suggesting that gives you much better
20 data than any kind of assumption base or vendor guarantee
21 base.

22 Q. Are you aware of any legal requirement for
23 that?

24 A. I can't --- I can't speak to legal

1 requirements. I can tell you based on as a practitioner,
2 any permits for turbines, half CEMS, NOx and CO for sure.
3 I wouldn't for example put SO2 here, except if a lot of
4 diesel is used. I can put an SO2 CEMS, but natural gas
5 is very little sulfur. So for all natural gas I wouldn't
6 recommend an SO2 CEMS for example. Money is better spent
7 putting, you know, HAPs and organic HAPs or VOCs for
8 example. But yeah, permit --- when you say permits are
9 out there, which are legally binding, many, many permits
10 have CEMS required.

11 Q. And I'm not --- we've already established
12 you're not a lawyer and I'm not going to dance into that.
13 But you have said you're familiar with the permitting
14 process in some of these instances. Are you aware of any
15 permitting requirements for what you're suggesting.
16 Anywhere?

17 A. I don't fully understand the question, so can
18 you clarify? I just said as a practitioner who's
19 familiar with permitting and permits, if the question is
20 CEMS, yes, there are many permits with CEMS required for
21 natural gas fired turbines.

22 Q. Okay.

23 I think I was unclear, but I don't think that
24 line of questioning is going to be super productive, so I

1 won't belabor it. You believe there should be a CEMS for
2 NOx.

3 Is that correct?

4 A. Yes, for sure. I mean as I said, there's no
5 statistical difference between the major source threshold
6 and what is presented as a PTE for sure. Not a CEMS. I
7 don't know the configuration, at least in the --- we're
8 still in the redacted world. So CEMS for NOx for sure.

9 Q. And why NOx? And some of these are necessarily
10 going to overlap with questions that Mr. Becher's already
11 asked and I apologize. But why NOx?

12 A. Because you look at the application itself and
13 you look at the permit and I think I was on that page.
14 The NOx emissions are expected to be 99.35 tons per year.
15 The major source threshold is 100 tons per year. You
16 have no margin, no engineering, no scientific margin,
17 effectively no statistical margin. Between the 99.35 and
18 under, they're one and the same statistically. It's what
19 I call an arithmetic margin. If you measure even in your
20 one time stack test, forgetting all the load variability
21 and everything I talked about, or the fact that the SCR
22 will deteriorate over time, you will have run to run
23 variability that will overwhelm this non-existent margin.
24 And so the only way to know the totality of NOx being

1 emitted is to monitor it, not rely on a test that barely
2 captures anything.

3 I mean just think about it, Mr. Driver. You do
4 a test typically three runs, three hours. In a given ---
5 even if there's one turbine that runs for a year, that's
6 8,760 hours. So you're doing a three hour test even for
7 one year that barely captures operating variability. And
8 if it just doesn't do it. If the margin, if this ---
9 same reason, if this thing had a lot more margin, then it
10 would be a different story. But you have no margin for
11 NOx. That's the reason.

12 Q. And I apologize if I'm mischaracterizing what
13 you said earlier. Did you say that CEMS should be
14 required for anything where it's reasonably feasible to
15 use the CEMS? Or am I just mischaracterizing what you
16 said completely?

17 A. You didn't mischaracterize it completely. But
18 let me just say it again. I'm saying, here, if those
19 only natural gas, I give an example, I would probably be
20 not hung up about in sulfur dioxide CEMS, those are
21 widely available. But here you have diesel. It's going
22 to produce a fair amount of sulfur dioxide. Even with,
23 you know, whatever diesel is available in the market.

24 VOCs, CEMS are available. We talked about

1 formaldehyde as a VOC. It can be a better surrogate or
2 CO or VOC both as surrogates for a number of HAPs. Every
3 individual HAP does not have a CEMS right now available
4 in the market. So you need to do some surrogacy and test
5 against periodic testing. So yes, there are multiple
6 CEMS available. You have to make the argument. And from
7 what I've looked at NOx, either CO or VOC, PM filterable,
8 PM 2.5 or PM 10 filterable, those are available CEMS and
9 you'd be surprised how much ammonia are you going to put
10 out of this into the SCR and ammonia CEMS. Certainly
11 look at those.

12 Q. So do you think there should be CEMS for each
13 one of them?

14 A. Yes. Well, there should be CEMS for each
15 turbine for these pollutants.

16 Q. And do you believe that it would be appropriate
17 for DEP to require those CEMS for every synthetic minor
18 here in West Virginia? Is that where you're going with
19 it?

20 A. I've not looked at every synthetic minor.
21 There may be synthetic minors that are well below the
22 major source threshold with a lot more margin. An
23 argument can be made that even the variability is still
24 well below the threshold. But this particular synthetic

1 miner for CEMS has no --- for NOx has no margin.

2 And this particular plant has really not --- is
3 not even a synthetic minor, in my view that I've shown
4 for HAPs, for formaldehyde. But the answer is
5 philosophical question. This may be troubling to you,
6 Mr. Driver, but the reality is when you take a synthetic
7 minor, you actually are making a representation to stay
8 below certain limits. You actually increase your
9 obligations to monitoring. If you are a major source,
10 and we only have 100 ton as an example here, if you're
11 102 tons or 200 tons, you're a major source either way.
12 You don't have to --- it is what it is in other words.

13 But because you have represented, or you,
14 meaning the Applicant is represented, that they are going
15 to stay below this. We're going to only put 59.99, you
16 know, gallons of trash in a 60 gallon trash bag, but
17 you're going to monitor that trash bag and how much
18 you're filling it, more so than if you had a much bigger
19 trash bag. So your obligations to monitor, to verify for
20 emission factors that are used that we have not even
21 talked about that require verification increase because
22 to escape major source requirements, you're saying I'll
23 be synthetic minor, easy peasy. I don't have to deal
24 with this, that and the other thing.

1 But the return obligation is how you're going
2 to prove that you're staying consistent with your
3 presentations as the monitoring obligation goes up
4 proportionally or dramatically. That's what I'm saying.

5 Q. And Dr. Sahu, I'm sure that you've come across
6 this before, but what happens if a synthetic minor source
7 violates its, you use the word obligations. Its
8 obligations under the terms and conditions of a permit.
9 What happens then generally?

10 A. Well, first of all, you have to have the
11 verification to know that you're violated. Right? If
12 you just have one stack test or stack test every five
13 years, you're flying blind. So there's a predicate to
14 your question, and that is an important predicate. Do
15 you have enough monitoring to even know that you're
16 violating? Because if you don't, then you have no
17 information. And no information doesn't mean you're not
18 violating, especially in this situation where you're this
19 close to the threshold.

20 But if you did have monitoring, let's say you
21 have the CEMS for NOx and now you should see a violation
22 there you get a notice of violation. You have to cure
23 that problem. Maybe your controls are not working well.
24 Maybe your combustion system needs tuning, maybe your

1 fuel mix is wrong. Typically agencies will issue an NOV
2 or NOC or they will issue the enforcement action in other
3 words ensues. And that can take many forms, as you well
4 know. I mean sometimes that can be cured and you retest
5 it and you say, I'm going to stay below. Sometimes you
6 have to come back and ask for, we can't do it, now you
7 have to do a permit modification. Now you reopen the
8 permitting process.

9 Maybe you have accepted --- or the applicant
10 has accepted. I can't. I've seen an example, I'm
11 dealing with one right now where it said, the applicant
12 itself said no, we thought we were a synthetic minor and
13 now we've tested ourselves, self-reported we're a true
14 major source. Well, they're going through the permitting
15 process. So to get different limits to do the kind of
16 things they avoided in the first place. So it can take
17 several different forms, but it will probably result in
18 an NOV or an NOC.

19 Q. And just for the court reporter, when we say
20 NOV, we're referring to a notice of violation. So
21 basically what you're saying here is, if there is --- if
22 there are detected exceedances, enforcement action will
23 be taken up to and including cease and desist. It could
24 just be an NOV. It could be, you know, like an order of

1 whatever. It just --- I guess it would depend on the
2 permanent context. But there are enforcement actions
3 that can and often are and likely would be taken against
4 a facility. Facility where the emissions data showed
5 that it was emitting beyond the level of a minor source.

6 Is that correct? That was a convoluted
7 question.

8 A. It was a long statement. You had the question
9 at the end. I want to stress my answer, which is the
10 predicate for that, everything you said I would agree
11 with. But you cannot miss the predicate because you
12 artfully or otherwise did not include the predicate,
13 which is monitoring. How do you even know that you have
14 a problem if you're not monitoring or measuring? You
15 know, as a practitioner, you probably heard this before.
16 It's a very standard thing. You cannot manage what you
17 cannot measure or you do not measure. There's no way to
18 manage to even know without measurement. Because your
19 means of estimating for something as complicated that NOx
20 admissions. NOx is not a stoichiometric bulletin.
21 Measure the fuel sulfur and we'll pretend all of it is
22 oxidized to sulfur dioxide. You can do something. You
23 don't need to measure sulfur content or SO2 all the time.
24 You can do chemistry.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

BY ATTORNEY YAUSSY:

Q. Dr. Sahu, you're familiar with --- are you familiar with West Virginia regulations regarding startups and shutdowns?

A. I've looked at them. I have not looked at them in the last day or two, but there are no regulations that I know of that define startup and shutdown for turbines.

Q. But they do have regulations dealing with startups and shutdowns.

Correct?

A. They have some requirements generally, but I'm not aware of emissions during startup shutdown regulations or even duration or even how they're defined because that is not general. You have to do it by equipment.

Q. Is there any requirement to have limitations for startups and shutdowns in permits?

A. Yes, they have requirements, but even that's what I commented. We have even numbers for two bulletins for two fuels and for nothing else. And there is no verification for that.

Q. I'm sorry I asked that poorly. Doctor, is there any rule or regulation that requires you to limit

1 startups and shutdowns or limit emissions for startups
2 and shutdowns?

3 A. You have to refresh my memory. I think there
4 are general duties. We are referring to that to keep
5 things in good operating order. But beyond that my
6 experience, including in Virginia. Again, I'm looking,
7 I'm just recalling at involvement with at least two or
8 three other permitting issues in the last couple of years
9 in West Virginia. They are all very specific to the type
10 of equipment and the plant. I don't know of a general
11 obligation to limit emissions of the massive emissions of
12 certain pollutants during startup shutdown other than
13 equality to requirement.

14 Q. So there isn't a requirement to actually limit
15 them the amount of emissions during start of the
16 shutdowns?

17 A. Not quant --- not quantitatively. That comes
18 from the permit.

19 Q. If it's not required in the regulations, then
20 it's not required in the permit.

21 Correct?

22 A. The permit has --- I mean a good example is
23 there are limits in this permit. They don't appear in
24 the regulation.

1 Q. I agree. I agree there are limits to this
2 permit that aren't required by the regulations. I think
3 we agree on that.

4 A. We agree that the permit is bound by the what
5 the authorities of the permitting agency. I will agree
6 with that. But in simple terms, every number that is in
7 a permit derives authority from that, doesn't mean it
8 appears in the regulation.

9 Q. Are you familiar with 45 CSR1 which is titled
10 alternative emission limitations during Startup Shutdown
11 and maintenance operations?

12 A. I've looked at that. Again, not in the last
13 couple of days. These --- yeah, AMELs are --- I'm
14 familiar with AMELs in general, yes.

15 Q. But if I were to ask you detailed questions
16 about it, that's not something you've prepared for for
17 this.

18 A. You have to share that with me. And it's not a
19 memory test, counsel, so I'm happy to --- you can refresh
20 my memory and you can project it on. I'll be happy to
21 tell you what I know.

22 Q. There's freely available alternative emission
23 limits that are available for startups and shutdowns that
24 could go into a permit.

1 Correct?

2 A. Can you show me where they are in the permit?
3 Then maybe I can refresh because I have that up and open
4 here.

5 Q. Well, you saw --- you know where at the start
6 the shutdown limitations are on the permit.

7 A. Yes, I do see that because Mr. Becher showed
8 them to me and I can find it. But I'm talking about this
9 alternative monitoring because I only see one monitoring,
10 which is periodic stack testing. I don't see any
11 alternative monitoring.

12 Q. No, sir, I'm asking about the regulation
13 itself.

14 A. Well then you just told me the regulation, Mr.
15 Counsel. Again, to repeat that I have the permit open.
16 The permit is all this applicant has to comply with. And
17 so if there is additional regulations that are not cited
18 in the permit, then I'm asking you to clarify that for
19 me.

20 Q. Doctor, you referred to there's no monitoring
21 or testing other than the stack testing for before NOx,
22 CO, sulfur oxides and formaldehyde.

23 Correct?

24 A. Yeah. I see periodic testing but no continuous

1 monitoring.

2 Q. But there is stack testing required for each of
3 the turbines for those substances.

4 Is that correct?

5 A. Let me go look at the provision. My
6 recollection is once every five years there's a stack
7 testing, but that's what I remember.

8 Q. Why don't we look on P. Page 19 of the permit
9 certified record, page 503.

10 A. Yeah, I'm just about there. I was going there.
11 Yes, that's what I was remembering here. Yeah. Let me
12 ask you. Let me --- I'm on the page. Why don't you ask
13 your question.

14 Q. Sure. It requires stack testing for NOx, SO2s,
15 carbon monoxide and formaldehyde.

16 Correct?

17 A. Yes.

18 Q. In your experience, that's a pretty common way
19 of verifying emissions for synthetic minor sources, isn't
20 it?

21 A. No, I wouldn't say it's common way for
22 synthetic minor sources. Many synthetic minor sources
23 have continuous monitors for the reason I mentioned.
24 I'll tell you this. If you had a synthetic minor source

1 that was not butting up against a major source limit,
2 means you had more margin. You could say, why do I need
3 to put a continuous monitor? I'm so far below. I don't
4 --- I shouldn't have to perform. You can make that
5 argument. I'm not oblivious to that.

6 Conversely, if you have a source that operates
7 literally steady state, no startup shutdown, it just.
8 And there's no load variability. There are sources like
9 that. You might say if I --- you know, mathematically,
10 if you have emissions that are steady, then yes, you can
11 test them very infrequently because by definition they're
12 steady, they don't change. So you can reduce the
13 frequency of testing.

14 But if the emissions fluctuate a lot, then just
15 doing them periodically doesn't capture that variability.
16 And that's the problem. Here you have both your
17 variability and you have your butting up against the
18 limit. So a test doesn't do anything for you.

19 Q. Can you identify any other synthetic minor
20 permit in West Virginia that has continuous emission
21 monitoring required in it?

22 A. I didn't do that research for this. So I mean
23 again, back to memory test. I'm telling you in absolute
24 terms this is not about who else did what. This is about

1 what is unique about citing this source in this area, in
2 this location. Our permitting exercise, as you well
3 know, sir, is a case by case determination. You could
4 have a part of West Virginia that has great --- or you
5 know, airflow patterns can handle a lot more impacts and
6 that's different. But our permitting is predicated upon
7 case by case and preconstruction permitting that has come
8 up here, which is astounding to me, you know? And I
9 think you raised that issue which is in doubly
10 astounding, which is you have to do these things before
11 you give permission to build a very expensive piece of
12 equipment as opposed to saying build it and we shall see.

13 Our preconstruction requirements are doing
14 these assessments up front and they are case by case. So
15 if somebody had it or didn't have it, you look at the
16 circumstances here, I couldn't tell you quite honestly if
17 there's a permit there for NOx at 99.35 tons when a major
18 source is 100 tons in West Virginia. But that is unique
19 to this facility. And so you deal with that issue here.
20 That's my belief.

21 Q. So the answer is no.

22 A. The answer is it doesn't matter. The answer is
23 it wouldn't matter even if you had a stack of permits.
24 You still have to deal with the circumstances here.

1 Q. I will except no for answer there, Doctor.

2 A. I said it doesn't matter for the record.

3 Q. We talked about, or you talked about scaling
4 up, you compared --- you said we have to look at the
5 formaldehyde emissions in the context of the carbon
6 monoxide emissions. You said I don't know how many
7 startups and shutdowns there are, but by looking at the
8 difference between carbon monoxide steady state and
9 carbon monoxide allowable startup shutdown emissions, you
10 use the same factor then to scale the formaldehyde.

11 Correct?

12 A. Yes. Because your client's application had
13 zero formaldehyde for startup shutdown. In the redacted
14 version, there is no formaldehyde. And I know that's not
15 accurate because it's a product of incomplete combustion.
16 And I know, as I've showed you through other evidence,
17 how dramatically formaldehyde is produced and emitted at
18 lower loads, including startup shutdown, which is
19 typically from 0 to 50 to 60 percent load. And because
20 of that, and using the information I had in the
21 application and showing you and showing the Board that CO
22 is a surrogate, EPA memos and preambles, I said that's
23 one way to show that you're going to be over the major
24 source threshold. That's what I was saying.

1 Q. It seemed to me that you were showing that CO
2 was a surrogate formaldehyde steady state. I missed it
3 here in your documents where you showed that CO was a
4 surrogate as far as the rate of formaldehyde during
5 startup and shutdown.

6 A. Let me clear that up for you. Combustion
7 chemistry says when you have incomplete combustion, it
8 creates a range of things like CO, benzene, formaldehyde,
9 whole bunch of VOCs. And I've shown you separately, and
10 that's the point I made, is when we do have test data,
11 how dramatically that formaldehyde is created during
12 lower loads. I only used a factor of two in my
13 calculations. And that actual testing is, if you recall
14 the numbers, depending on what Mr. Becher showed me, the
15 different panels that's there before the Board. Factor
16 of three, factor of four, factor of 20, factor of
17 thousands. I did not rely on that memo to scale this up
18 even dramatically. I said even if you use a factor of
19 two, which is understating that surrogacy during non-
20 steady conditions, you're over the limit. Does that
21 answer your question?

22 Q. No, it doesn't. Exhibit 2.

23 A. Well, let's look at the exhibit that has that
24 because I do want to make sure that the Board understands

1 it.

2 Q. We're going to get to that exhibit. Let's look
3 at Exhibit 2. Do you have Exhibit 2 there?

4 A. Yeah, Exhibit 2. Which is that? Because I
5 have exhibits numbered a little different ---.

6 Q. Exhibit 2 is August 21st, 2001 memo.

7 A. Sure, let me get to that.

8 Q. I'm assuming that somewhere in here --- and I
9 missed it because I kind of didn't have a chance to read
10 it real closely, somewhere in here it says that there's
11 the same ratio of formaldehyde generation during startup
12 shutdown as there is the ratio of carbon monoxide during
13 startup shutdowns.

14 A. Yeah. This memo, the part that was quoted to
15 the Board is on the top of the second page, it says
16 carbon monoxide is a good surrogate for formaldehyde and
17 other HAPs. No qualification about steady state or stop
18 shutdown at all time. Okay?

19 So that's what that memo says. You're not a
20 combustion chemist. I'm a combustion chemistry person.
21 I'm telling you the reason EPA didn't qualify that. You
22 can make your legal points, I get it. But that's a
23 statement without qualification. That means again, for
24 the nth time, repeating what I said earlier. When

1 combustion efficiency decreases as a function of load, it
2 creates all of these unburned, incomplete combustion
3 products. And so CO being a representative of that is
4 true for all conditions. It's not just at steady state.

5 Q. We're not disagreeing that there may be some
6 relationship between CO and formaldehyde. I don't know.
7 It won't concede it, but I don't know that. But I don't
8 see anything in this memo, Exhibit 2, or in the data that
9 you've put together which indicates that there's exactly
10 that relationship and it stays the same regardless of
11 whether steady state or startup or shutdown.

12 A. Oh, believe me, I'm not saying it stays the
13 same. I'm saying for the purpose of why is this
14 important here? Your client has claimed that you're a
15 minor source, that formaldehyde will be below 10 tons,
16 having completely omitted any formaldehyde from startup
17 shutdown for either fuel.

18 Let's define the playing field here. Your
19 client and the application says we have two steady state
20 numbers. One for natural gas, one for diesel, and zero
21 for startup shutdown for either fuel. And based on that,
22 you claim that you're below 10 tons. I'm saying that's a
23 big, huge gap. If you make even a reasonable attempt at
24 filling it even with a factor of two, you're over. And I

1 agree with you. I've shown you data that the factor of
2 two is insufficient. It may be more than that. And that
3 would just further my conclusion that you're not a minor
4 source. That's the context for getting all the confusion
5 you're trying to add to your question. Let's talk about
6 that.

7 Q. You're talking about rates of emissions during
8 startups and shutdowns.

9 Correct?

10 A. Yes.

11 Q. How long does each startup or shutdown last?

12 A. Turbine startups for this type of duty can be
13 15 minutes, 10 minutes, maybe 12 minutes. That's to spin
14 up and then the end of startup can sometimes be up to 30,
15 40 percent load, 50 percent load, maybe an hour. So
16 that's typical. And you just produce so much in that, in
17 those minutes it's dramatically high. That's the point.
18 But startups are typically in that range. Anywhere from
19 these are you have not fast start turbines that can spin
20 up pretty quickly, you know, in about 10, 15 minutes, but
21 to reach load they might take a little bit longer,
22 something in that range, an hour or less.

23 Q. So you have current turbines that can start up
24 much quicker than some of these older turbines that you

1 have in exhibit --- referred to in Exhibit 4.

2 A. Yeah, I think you're missing an important
3 point. Those results in Exhibit 4 are for
4 concentrations, sir. They're not for the total mass.
5 They're not pounds per hour. They're not pounds per
6 minute. They are the concentrations that you get parts
7 per billion in the exhaust, even if you have a fast start
8 turbine for 15 minutes, you will still have dramatically
9 high concentrations and the mass that attaches to them.
10 So the results are reported as concentration. But of
11 course you have different mass depending on the size of
12 the turbine. So the commonality there is the
13 concentration in the smokestack. That's what that is
14 showing is the load function.

15 If you have it for 15 minutes, you have less
16 mass. But here my scaling applies because you have the
17 same thing with less CO as well. You see the beauty of
18 having the information that I have and using it is
19 whatever your duration is, whether it is fast start or
20 not, the CO is also happening in the same time as the
21 formaldehyde. What you cannot have is one set of startup
22 conditions for formaldehyde and a different set of
23 startup conditions for CO. The scaling works because
24 whatever the heck is hidden behind the black redactions

1 applies equally to both CO and formaldehyde. That's why
2 it's done that way.

3 Q. That is an assumption that you are making that
4 scaling applies equally between those two different
5 fluids.

6 A. No, no, let's not get carried away without, you
7 know, common sense logic failure. You're starting up a
8 turbine, the duration, whether it's 8 minutes, 12 minutes
9 or 15 minutes, it is what it is. You produce a bunch of
10 CO, you produce a bit of a bunch of formaldehyde. The CO
11 is reported for that duration, whatever that report ---
12 that duration is, which is not spelled out, whatever that
13 might be, the end minutes, the missing minutes, 8, 10,
14 12, an hour, whatever it is, you have --- your client has
15 reported CO as a startup number. I'm saying the
16 formaldehyde will be produced in the same time frame.
17 You're going down the line saying, oh, these results are
18 older, but now you have fast start turbines. That has
19 nothing to do with it.

20 A. You're completing two very different things
21 you're scaling here that I've done using your CO numbers
22 and formaldehyde is for the same startup conditions even
23 though it is redacted. As for the memo, those are
24 concentrations, they're not mass numbers. And I've not

1 used that other than to point out that my scaling of
2 factor of two is dramatically low. I could have used
3 from that data a much higher scaling number simply from
4 further making the point that this is clearly a major
5 source. I didn't need to do that. Even with a factor of
6 two, you fail to be a minor source.

7 Q. Dr. Sahu, looking at Exhibit 4. There seems to
8 be quite a range of formaldehyde emissions based upon the
9 type of turbines. Is that fair to say?

10 A. They're all gas fired turbines, they're all
11 lean pre-mix. I'll point you to --- I made that point
12 earlier. They have different conditions but all of these
13 are lean pre-mixed combustion turbine test reports. Look
14 at the very first sentence in the memo. And they're all
15 measuring formaldehyde. Different test methods, that's
16 another important fact. But no matter which test method
17 you look at, the load variability is dramatic.

18 Q. Even comparing them between turbines, there's a
19 difference in formaldehyde emissions. You'd agree with
20 that.

21 Correct?

22 A. Yeah, you can. You can get formaldehyde but
23 the ratios are sky high and none of them show that you
24 have no formaldehyde at zero formaldehyde during startup,

1 which is what is in the application right now, which is
2 what the permit is based on. None of them support the
3 idea that you'll get zero formaldehyde. That would be
4 possible if there were some tests. But as your load
5 decreased you got down to zero. You got down to lower
6 formaldehyde. You don't see that. You see quite the
7 opposite.

8 Q. Exhibit 4 was a memo --- is a memo drafted June
9 23rd, 2003. Is there been any improvement in turbine
10 technology since --- in the last 22 years?

11 A. There's been improvements in turbine technology
12 but the lean pre-mix drop turbine technology is still
13 being used. In fact that's the most common. There is no
14 improvement. If anything things are actually worse
15 because the focus has been on NOx. To tell you the
16 truth, in the turbine world there have been improvements
17 to reduce NOx emissions. Previously NOx emissions were
18 40, 50 parts per million. Now they're in the 15 parts
19 per million or 9 parts per million. But the resultant
20 that is CO and formaldehyde actually are dramatically
21 higher. I mean just like in your car engine you control
22 for NOx, CO actually goes up that's the nature of
23 combustion. You're controlling one pollutant in
24 conditions, the other one goes up.

1 Same thing is because the driver for
2 improvements and there have been is on the NOx side, that
3 has actually had the dramatically opposite effect on
4 VOCs, CO and formaldehyde. That's where we are.

5 Q. Doctor, are you aware that heat input is one of
6 the factors that has to be monitored for the --- for the
7 turbines?

8 A. Heat input for an overall time period, I don't
9 see the relationship between heat input and emissions,
10 which is that load relationship. That's not required in
11 the permit. There's a requirement to monitor total
12 amount of heat or total amount of fuel, but that doesn't
13 talk about load. You can have all that in one load or in
14 various loads. We keep, you know, bringing out permit
15 conditions. I looked at those conditions. They don't
16 tell you anything about the load variable.

17 Q. I take that as a yes. The permit does require
18 monitoring heat input.

19 A. Overall, but not at different lows, which is
20 where the action is from an emission standpoint. You
21 can't measure over here and say, therefore it applies
22 here. That's not how science works. You need it to be
23 in the same way. You're not monitoring --- there's no
24 requirement, unless you can show me, to monitor heat

1 input during startup shutdown events.

2 Q. You're also required to monitor the fuel input.

3 Correct?

4 A. Same thing whether it's gas or diesel, I'll
5 give you that. But within each one of them there is a
6 load relationship. There's no requirement to monitor or
7 measure during events.

8 Q. And you're required to keep track of the hours
9 of operation and the conditions of operation.

10 Correct?

11 A. Hours, yes. I don't know what means by ---
12 what means by conditions. I mean, the hours is a number.
13 But again, that tells you nothing about emissions at load
14 because it's not telling you how much hours at which load
15 and what those emissions will be. It's an overall.

16 Q. You have to identify whether it's a startup or
17 shutdown condition.

18 Correct? In the permit.

19 A. Yeah, but how is that translated to emissions?
20 In other words, you don't have --- even if you said, I'm
21 spending 20 hours, let's say I made up a number in
22 startup, what are you going to do with that? What
23 emission factor or what pounds per hour for those 10
24 hours or 20 hours would you use to estimate emissions?

1 There's nothing in the application that does that for
2 formaldehyde.

3 Q. Doctor, all I'm trying to do is get you to
4 confirm what's in the permit. Can you do that for me?

5 A. Yes, and I'm confirming what is there. And
6 also going saying that it doesn't matter for the points
7 I'm making. And you're trying to confirm with the idea
8 that you're going to get a sound bite out of me that the
9 permit is okay. Well, I wish I could give it to you.
10 All I can tell you is the few conditions that are there
11 do not protect and do not provide any assurance that this
12 is a minor source or synthetic minor source. With your
13 permission, Counsel, I'm going to pour some Diet Coke in
14 here if that's okay, because that's my drug of choice
15 here today. So that's --- I pardon the noise.

16 Q. No, that's fine. One more question about the
17 permit and the requirements monitor. The permittee is
18 required to operate in accordance with manufacturer's
19 specifications.

20 Correct?

21 A. Yes. And in the redacted version, I have no
22 idea what those specifications are.

23 Q. Has to keep --- has to properly operate it.

24 A. Yeah. That means, you know, it's like saying,

1 you know, I'm not going to quote you Supreme Court
2 rulings, but it's what is love and pornography is the
3 eyes of the beholder. So it means --- it means whatever
4 you want it to be. It's qualitative, you know. Do you
5 love mom? Do you salute the flag? Do you love apple
6 pie? Yes, to all of them.

7 Q. So you think those conditions are meaningless,
8 then?

9 A. Their conditions are unenforceable. They're
10 not meaningless. They're unenforceable.

11 Q. You can't enforce a requirement that the
12 turbines be properly operated.

13 A. Right. What would you do? So if you come to
14 them as an agency that you're not --- the only indicia of
15 improper operation is emissions. And if you're not
16 measuring emissions, what is your grounds to going back
17 to them and telling them you're improperly operating
18 anything? I mean, the first thing, if I'm representing
19 First Air, I would say, well, what do you mean? My
20 emissions are okay. I must be operating them correctly.
21 It's a circular argument. And here you don't even have
22 monitoring.

23 So why and when would you go to this company
24 and say you are, sir, operating your turbines improperly?

1 On what grounds? No grounds. Because you're not. You
2 don't have any data. It's your word. Based on what?
3 And they'll be right to challenge that. They would say,
4 well, wait a minute, it says you. I'm doing fine. So
5 that's why it is unenforceable.

6 Q. You said that loading is a key to formaldehyde
7 emissions.

8 A. And VOC and CO. All of them, yes.

9 Q. But as far as conditions, you'd also be talking
10 about the time of being in startup or shutdown, hot
11 versus cold start. All those things?

12 A. All of those. And don't forget, the only
13 reduction, the pollution control for any of these class
14 of pollutants is that oxidation catalyst. The permit has
15 no requirement of when that should kick in, either as a
16 function of heat input or temperature or even that it
17 should be maintained properly. And it's not abrading, or
18 it has to be --- its activity has to be checked. It's
19 not a one and done. These catalysts deteriorate and
20 that's even at higher loads, there's no requirement. And
21 of course it won't be hot enough during startup shutdown.
22 So it won't even operate.

23 Q. You said that vendor guarantees you feel are
24 useless in part because you've never seen them guaranteed

1 at different levels of turbine operation.

2 A. Yes. Not for the turbine manufacturers. And
3 I've seen guarantees for, I think, half a dozen of the
4 important ones. And they're limited. They're not in
5 different conditions. They're, as I mentioned to Mr.
6 Driver before, the limited time, highly specified
7 conditions that do not represent the totality of actual
8 operating conditions. They're basically a very limited
9 sort of passing of an acceptance test so they can fulfill
10 their contractual obligations. Usually there's a
11 holdback in these contracts that until we pass those, you
12 don't get your last 10 percent of the money or whatever
13 you are owed under the contract. So they're geared to
14 satisfying that requirement and making sure the
15 contractual obligations are fulfilled.

16 Q. If you could, if there were NOx --- you were
17 asked about NOx CEMS by Mr. Driver.

18 A. Sorry, I didn't get your questions. Say that
19 again.

20 Q. You were asked about NOx CEMS, continuous
21 emission monitoring by Mr. Driver.

22 A. Yes.

23 Q. And you --- as I understood you said if there
24 were NOx CEMS on this, that would be a good indication of

1 proper operation.

2 A. Well, that will give you the data to see if
3 you're exceeding your permit limits. In other words,
4 that would be the actual data if those CEMS were
5 installed and actually operating. Then that would give
6 you the ability to monitor and have data which you can
7 then aggregate. You can --- I mean, you put the CEMS in
8 and then you operate. And then that data will tell you
9 over a period of a year, are you emitting 99.35 tons?
10 Are you emitting 80 tons? Or are you emitting 115 tons?
11 And that data will then help you. Are you meeting your
12 99.35 or are you not? So the CEMS is a measuring
13 instrument. It will give you the data to make that
14 assessment.

15 Now, if it was over, you can go back and see
16 why did that happen? Are you not operating it correctly
17 or are you reading your specifications? It can generate
18 those questions, but without that data you have no
19 ability to ask those questions.

20 Q. But as written, NOx is the limiting parameter,
21 limiting pollutant for minor source status.

22 A. According to the calculations done and because
23 of limited resources, I haven't analyzed for everyone.
24 But NOx clearly is laughably close to its major source

1 threshold. I cannot stress this enough. Maybe some
2 people think that air pollution measurements are so
3 precise that you can distinguish between a 99.35 and 100
4 tons. I here to tell you as somebody who's been dealing
5 with this for 35 years, they're not that precise.
6 There's a lot of variability and therefore they are one
7 and the same. But if you had the measurement and you
8 were exceeding that, you could do something about it.
9 And it is a limiting pollutant because it's closest to
10 that major source threshold. And then formaldehyde for
11 other reasons that I mentioned.

12 ATTORNEY YAUSSY: Mr. Chairman. May I
13 consult for a second? I may be ---.

14 CHAIR: For a second.

15 ATTORNEY YAUSSY: Nothing further, Mr.
16 Chairman.

17 CHAIR: Redirect?

18 ATTORNEY BECHER: Briefly.

19 ---

20 REDIRECT EXAMINATION

21 ---

22 BY ATTORNEY BECHER:

23 Q. Two issues, Dr. Sahu. And I'll tell you I want
24 to make sure we get into the confidential portion of

1 this. I think the Board has a stop at 4:00. So we'll
2 try to be brief. But I just want to clarify something
3 first on the carbon monoxide formaldehyde relationship.
4 Looking back at the CEMS memo, I believe that's Exhibit
5 2. That surrogacy of the limit. That's based because
6 the pollution controls work the same on carbon monoxide
7 and formaldehyde.

8 Correct?

9 A. It's the same oxidation catalyst for two
10 reasons. It's not just the pollution control. It's also
11 the way they're generated is similar because that's in
12 the combustor. And then the only control for both of
13 those and for VOCs in general is the oxidation catalyst.

14 Q. And the reason they're higher on startup and
15 shut down is because it's at lower temperatures, lower
16 lows with that oxidation catalyst, it's not working.

17 A. More is created first. I cannot stress that
18 enough. More is created. And then the pollution control
19 is not effective. They're both important.

20 Q. So because they're created in the same way and
21 controlled in the same way, they are proper circuits for
22 one another.

23 A. As a first cut. It's a reasonable assumption.
24 Correct.

1 Q. I want to take you back to a question from Mr.
2 Driver. Do you recall he asked you if this stayed below
3 the max operating hours, that it would stay below
4 pollution levels? Do you recall that?

5 A. Yes.

6 Q. I would like you --- I'm going to ask you to do
7 some, I think simple, but some math here based on a
8 section in the permit and certified record, page 58, 59.

9 A. Fifty-eight (58), 59. Let me just get it. In
10 the two hundreds here. Okay, I am on page 58.

11 Q. If operating exclusively on diesel, we're
12 allowed to operate for 25,000 hours. The permittee is
13 allowed to operate for 25,000 hours.

14 A. Okay, so I'm on page 59 then, because 59 is the
15 diesel. Yes, that's the max is 25,000 hours on diesel.
16 Correct.

17 Q. And how much NOx will we get on annual basis.

18 A. Their calculations show ---.

19 Q. Let's just look at --- let's just look at
20 steady state and ignore the others.

21 A. It's 93.13 times.

22 Q. And then if we operated to our limit under the
23 natural gas exclusivity, what would be our total annual
24 emissions.

1 A. As on the previous page, that one --- that one
2 will be 94.43, I believe. Again, steady state not ---
3 you're extremely excluding the startup shutdown even as
4 represented. Correct?

5 Q. Correct.

6 A. Just steady state, you're in the high 90s for
7 either fuel.

8 Q. If you add those two together, are you over the
9 NOx limit for a minor source?

10 A. Yeah, but I wouldn't add them together. I know
11 where you're going. Because the permit therefore limits
12 on either fuel the max of the 99.35.

13 Q. How would you determine if that max is being
14 met? Say you're operating with --- on the throttle
15 number here, six turbines for a cumulative 15,000 hours
16 on diesel.

17 A. The only thing you have to do is you can ---
18 you have to assume, and that's a big assumption, that the
19 hourly numbers are what they are and then multiply by the
20 number of hours that you recorded and add those up for
21 each fuel. That's what you would do. My problem is the
22 hourly numbers are a function of load. You don't have
23 measurements other than the stack tested 100 percent
24 load.

1 Q. And in addition to that, the hourly
2 measurements are for functioning of all of the turbines,

3 Correct?

4 A. Correct.

5 Q. So if you have a subset of that and you don't
6 know how many turbines there are, you can't tell how many
7 those subsets of turbines are new. You can't tell an
8 hourly load for that number of turbines.

9 A. You cannot. Other than assuming what is
10 already listed there with no verification.

11 Q. And even the assumptions, that's listed here,
12 again, that's for the operation of all the turbines.

13 Correct?

14 A. Right. And that --- that is. That's all we
15 know from the redacted ones. And they will say that's
16 the PTE and that's for fair for PTE. But again, NOx will
17 deteriorate over time. The catalyst will deteriorate
18 over time. Those pounds per hour numbers are different
19 and they will not be the same for every turbine, however
20 many there are. These are individual machines. You
21 cannot simply say every one of them has the same.
22 They're not identical. You can have two of them side by
23 side and test them. You saw that EPA preamble in the
24 same station, Waterloo. There was a unit 7, there was a

1 unit 8. Really identical on its face. One had vastly
2 different emissions than the other. So these are all
3 assumptions and without any verification. You're just
4 relying on arithmetic and algebra with no real
5 understanding of what's being emitted in the smokestack.

6 Q. And you can't even do that arithmetic when
7 you're operating less than the full number of turbines
8 without. Without knowing the number of turbines to scale
9 --- to do that scaling.

10 A. Yes, that's correct.

11 ATTORNEY BECHER: Nothing further.

12 CHAIR: Okay.

13 Anything else? Board, any questions? We
14 need you stay on please. At this point we're going to
15 move into ---.

16 ATTORNEY DRIVER: Mr. Chairman, this is
17 Scott. I have a couple of brief recross questions.

18 CHAIR: Go ahead, Mr. Driver. Just make
19 it brief and not repetitive.

20 ATTORNEY DRIVER: I will endeavor to do so
21 which is pretty much worse what's coming from a lawyer.
22 But I will try here.

23 ---

24 RE CROSS EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

BY ATTORNEY DRIVER:

Q. Dr. Sahu, I want to make sure to clarify for me and the Board. I think you equated or maybe conflated formaldehyde exceeding 10 pounds a year with NOx exceeding 100 tons per year. I'm sorry, tons per year for both.

Is that correct? Are you equating?

A. I didn't conflict. I didn't intend to, if I did, I missed. So I simply was saying that each of those pollutants has a different threshold when it becomes major. Formaldehyde it is 10 tons a year. For NOx it is 100 tons a year.

Q. And what are --- are the ramifications the same if either one of those exceeds that threshold in a permit application?

A. Yes. Then you get a major source permit. If the NOx exceeds 100 tons, you get a PSD permit, a prevention of significant deterioration permit or what's called a non-attainment permit. If the ozone area is not in attainment and that has requirements for best available control technology or lowest available emission rate. It has requirements for modeling. It has requirements for modeling in the immediate area but also

1 at class one areas. It has all those ramifications. It
2 has requirements to look at what's called air quality
3 related values like visibility and haze and deposition,
4 acid deposition. So it has a number of additional
5 analysis because it's a major source. For formaldehyde,
6 which is a hazardous air pollution, there are
7 requirements to meet what are called maximum achievable
8 control technology standards. And so it has its own sort
9 of requirements. So it depends on the pollutant.

10 Q. And you're solid on that position?

11 A. I'm very solid that each of these NOx is a
12 criteria pollutant with 100 tons per year threshold.
13 Formality is a HAP that is 10 tons per year for that
14 individual HAP. There's a separate major source
15 threshold for all aggregate HAPs and that is 25 tons per
16 year.

17 ATTORNEY DRIVER: Thank you for the
18 clarification, Dr. Sahu. That's all I've got. I'll pass
19 the witness.

20 CHAIR: Okay.

21 Dr. Sahu, if you just hang on for a little
22 bit. At this point we're going to clear the room. As I
23 said, we will not reconvene today in public. We will
24 reconvene tomorrow morning at 8:30. We will also ---.

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

CERTIFICATE

I hereby certify, as the stenographic reporter,
that the foregoing proceedings were taken
stenographically by me, and thereafter reduced to
typewriting by me or under my direction; and that this
transcript is a true and accurate record to the best of
my ability.

I certify that the attached transcript meets the
requirements set forth within article twenty-seven,
chapter forty-seven of the West Virginia Code.



Chassidy E. Bays,
Court Reporter